

1 GULF OF MEXICO FISHERY MANAGEMENT COUNCIL
2
3 MEETING OF THE STANDING SCIENTIFIC AND STATISTICAL COMMITTEE
4

5 January 22, 2026
6

7 **STANDING SSC VOTING MEMBERS**

8 Trevor Moncrief.....
9 Luiz Barbieri.....
10 Harry Blanchet.....
11 Dave Chagaris.....
12 Tom Frazer.....
13 David Griffith.....
14 Tiffany Hopper.....
15 Jack Isaacs.....
16 John Mareska.....
17 Paul Mickle.....
18 Jim Nance.....
19 Daniel Petrolia.....
20 Sean Powers.....
21 Andrew Ropicki.....
22 Steven Scyphers.....
23 Ralph Townsend.....
24 Will Patterson.....

25
26 **STAFF**

27 Matt Freeman.....Economist Analyst
28 John Froeschke.....Deputy Director
29 Sarah Gardiner.....Fishery Biologist
30 Lisa Hollensead.....Fishery Biologist
31 Jessica Matos.....Administrative and Accounting Technician
32 Emily Muehlstein.....Public Information Officer
33 Ryan Rindone.....Lead Fishery Biologist & SEDAR Liaison
34 Carrie Simmons.....Executive Director
35 Verena Wang.....Ecosystem Analyst
36

37 **OTHER PARTICIPANTS**

38 Lisa Ailloud.....SEFSC
39 Mike Allen.....GMFMC
40 Heather Christiansen.....
41 Francesca Forrestal.....SEFSC
42 Ted Switzer.....
43

44 - - -
45

TABLE OF CONTENTS

1
2
3 Table of Contents.....2
4
5 Table of Motions.....3
6
7 Introductions and Adoption of Agenda.....4
8
9 Review and Approval of Minutes and Summary from the October 2025
10 SSC Webinar Meeting.....4
11
12 Scope of Work.....4
13
14 Gulf Lane Snapper Interim Analysis and Catch Advice.....6
15
16 Gulf Red Grouper Interim Analysis Health Check.....32
17
18 Gulf Gag Grouper Interim Analysis and Health Check.....35
19
20 Adjournment.....47
21
22 - - -
23

INDEX OF MOTIONS

1
2
3 [PAGE 18](#): Motion that the SSC considers the 2026 lane snapper interim
4 analysis using the G-FISHER index with reference frame of 2009-2018 as
5 consistent with BSIA. [The motion carried on page 30](#).
6
7 [PAGE 30](#): Motion that the SSC recommends an OFL of 1,336,445 pounds
8 whole weight and ABC of 1,304,917 pounds whole weight for the Gulf lane
9 snapper fishery for 2026-2028, based on the 2026 lane snapper analysis.
10 [The motion carried on page 32](#).
11

1 The Meeting of the Gulf of Mexico Fishery Management Council Standing
2 Scientific and Statistical Committee convened via webinar on Friday,
3 January 22, 2026, and was called to order by Mr. Trevor Moncrief.

4
5 **INTRODUCTIONS**

6 **ADOPTION OF AGENDA**

7 **REVIEW AND APPROVAL OF MINUTES AND SUMMARY FROM THE OCTOBER 2025**

8 **SSC MEETING**

9 **SCOPE OF WORK**

10
11 **MR. TREVOR MONCRIEF:** I will say the statement. Good morning, my
12 name is Trevor Moncrief. I'm the chair of the Scientific and
13 Statistical Committee of the Gulf Council. We appreciate
14 everyone's attendance and input in this meeting. Representing the
15 Gulf Council is Mike Allen. Gulf Council staff in attendance
16 include Carrie Simmons, John Froeschke, Ryan Rindone, Lisa
17 Hollensead, Matt Freeman, Verena Wang, Sarah Gardiner, Emily
18 Muehlstein, and Jessica Matos.

19
20 Notice of this meeting was provided to the Federal Register, sent
21 via email to subscribers of the Gulf Council's press release email
22 list, and was posted on the council's website. Topics to be
23 covered during this modified meeting include Gulf Lane Snapper and
24 Gag Grouper Interim Analysis and Catch Advice, Gulf Red Grouper
25 Interim Analysis Health Check, and we'll have section of public
26 comment, and, if anyone has any other business, we will cover that
27 as well.

28
29 This webinar is open to the public and is being streamed live and
30 recorded. A summary of the meeting and verbatim minutes will be
31 produced and made available to the public via our website.

32
33 For the purpose of voice identification, and to assure you are
34 able to mute and unmute your line, please identify yourself by
35 stating your full name when Jess calls your name for attendance.
36 Once you have identified yourself, please re-mute your line. We
37 will be using the raise-hand function to help everyone recognize
38 you to speak. Jess will type up the names up on the memo pad on
39 the screen as you have your questions. Take it away.

40
41 **MS. JESSICA MATOS:** Okay. Luiz Barbieri.

42
43 **DR. LUIZ BARBIERI:** Luiz Barbieri.

44
45 **MS. MATOS:** Harry Blanchet.

46
47 **MR. HARRY BLANCHET:** Harry Blanchet.

1 **MS. MATOS:** Dave Chagaris.
2
3 **DR. DAVID CHAGARIS:** David Chagaris.
4
5 **MS. MATOS:** Tom Frazer.
6
7 **DR. TOM FRAZER:** Tom Frazer.
8
9 **MS. MATOS:** David Griffith.
10
11 **DR. DAVID GRIFFITH:** David Griffith.
12
13 **MS. MATOS:** Tiffany Hopper.
14
15 **DR. TIFFANY HOPPER:** Tiffany Hopper.
16
17 **MS. MATOS:** Jack Isaacs. John Mareska.
18
19 **MR. JOHN MARESKA:** John Mareska.
20
21 **MS. MATOS:** Paul Mickle.
22
23 **DR. PAUL MICKLE:** Paul Mickle.
24
25 **MS. MATOS:** Trevor Moncrief.
26
27 **CHAIRMAN MONCRIEF:** Trevor Moncrief.
28
29 **MS. MATOS:** Jim Nance.
30
31 **DR. JIM NANCE:** Jim Nance.
32
33 **MS. MATOS:** Will Patterson. Dan Petrolia.
34
35 **DR. DAN PETROLIA:** Dan Petrolia.
36
37 **MS. MATOS:** Sean Powers.
38
39 **DR. SEAN POWERS:** Sean Powers.
40
41 **MS. MATOS:** Andrew Ropicki.
42
43 **DR. ANDREW ROPICKI:** Andrew Ropicki.
44
45 **MS. MATOS:** Steven Scyphers.
46
47 **DR. STEVEN SCYPHERS:** Steven Scyphers.
48

1 **MS. MATOS:** Ralph Townsend. Mike Allen.

2

3 **DR. MIKE ALLEN:** Mike Allen.

4

5 **MS. MATOS:** Okay. Thanks.

6

7 **CHAIRMAN MONCRIEF:** All right. Most everyone is here and accounted
8 for. The first thing I see on our to-do list is the Adoption of
9 the Agenda. Does anyone have any changes to the agenda, or any
10 other business they would like to put on at this time? Hearing
11 none, and seeing no hands, I'm going to say we're good on that.
12 All right.

13

14 Next up is the Review and Approval of Minutes and Summary from the
15 October 2025 Meeting. Those were all linked and available for you
16 all to review. Does anyone have any changes on those two things?
17 Seeing none, just a little bit -- Ryan, do we need a motion to
18 approve those?

19

20 **MR. RYAN RINDONE:** For the agenda and the minutes, yes, and so
21 they can be by acclamation, you know, without opposition.

22

23 **CHAIRMAN MONCRIEF:** Okay. No opposition to the approval of the
24 agenda and the minutes and the summary? Hearing no opposition,
25 they are approved. All right. Mr. Rindone is going to go over
26 our scope of work today, and we'll try to move straight into that
27 first item.

28

29 **GULF LANE SNAPPER INTERIM ANALYSIS AND CATCH ADVICE**

30

31 **MR. RINDONE:** Thank you, sir, and so first on the list is going to
32 be the Gulf Lane Snapper Interim Analysis and Catch Advice, and
33 Dr. Forrestal is with us today from the Science Center to present
34 an updated interim analysis for Gulf lane snapper, and this uses
35 the Itarget model that was initially used in SEDAR 49, and it's
36 been updated along the way over the years.

37

38 This one uses the Gulf Fishery Independent Survey of Habitat and
39 Ecosystem Resources, or G-FISHER, which is a composite video index
40 of three major video indices, and it is the representative index
41 of relative abundance that's being used for lane snapper.

42

43 The last interim used the recreational headboat catch per unit
44 effort data, and it's provided as background, along the SSC's
45 evaluation of that interim analysis, and that's on the council
46 website under this agenda item, if anybody wanted to look at that.

47

48 You guys should consider the information presented, ask questions

1 of the Science Center staff, and make any recommendations regarding
2 the OFL and ABC for lane snapper to the council, as appropriate.
3 Mr. Chair.

4
5 **CHAIRMAN MONCRIEF:** Thanks, Ryan, and so, up on this one, we've
6 got Dr. Forrestal. I will say we've got a few scenarios to look
7 through as she goes through here. We've got a look at the fishery,
8 of how it's been operating as of late, and so I think there's a
9 few things for us to consider and have discussion on. Go ahead.

10
11 **DR. FRANCESCA FORRESTAL:** Thank you very much, Chair. I am
12 Francesca Forrestal. I'm from the Science Center in Miami, and
13 I'll be presenting the interim analysis for Gulf lane snapper, and
14 so, just to give a bit of a background about how the stock has
15 been assessed, and also the interim analyses that have been
16 conducted, initially -- The OFL and ABC have been updated using
17 the Itarget data-limited method, and this method was initially
18 presented to the Gulf SSC in September of 2019, and so, in 2023,
19 the last time this was -- The stock had an interim analysis, we
20 updated the OFL and ABC with the Itarget data-limited method, using
21 the Southeast Regional Headboat Survey.

22
23 In March of 2020, the OFL and ABC were updated just with landings,
24 and this is in contrast to what was done in January of 2020, and
25 this was total removals, and so not -- It included discards. The
26 lane snapper as a stock was last assessed in SEDAR 49, and it was
27 the Gulf data-limited stock evaluation, with a terminal year of
28 2014.

29
30 This approach, just to give everyone a background of how it is
31 done, it is the Itarget method, and this is the version we're
32 currently using. The total allowable catch is calculated using
33 two different approaches, and so, if the recent index is less than
34 0.7 of the average index, then the equation on the top is applied.
35 If it's greater than, then the equation on the bottom is used.

36
37 The major things to take away from this is that you need the
38 average catch over a reference time series, and what was
39 recommended for lane snapper was from 1999 to 2008. You also need
40 a corresponding index over that same reference time series, and
41 then you also need the recent average. This can either be five
42 years or three years, depending on where you are.

43
44 The Itarget is defined as the average index by a multiplier, and
45 this was set during SEDAR 49, based on the assumption that the
46 stock was near MSY during this reference time period, and so 1999
47 to 2008. There's also a smoothing parameter that's used if the -
48 - That's used for catch advice when Irecent matches the average

1 index.

2

3 As I discussed before, the previous interim for lane was the
4 headboat CPUE, and the G-FISHER index was not available for lane
5 snapper at the time. G-FISHER, obviously, came online recently,
6 in its current iteration, but these indices were not available
7 back in SEDAR 49.

8

9 The headboat CPUE abundance index has been updated from the last
10 interim analysis of the terminal year of 2022. We do now have it
11 available through 2024, and so, on the left-hand figure, you can
12 see the orange box, and that corresponds with the reference
13 timeframe that was recommended. It got shifted around a little
14 bit with editing the slide, but the orange box should correspond
15 from 1999 to 2008, and then the blue box is the recent time period.

16

17 When this index was being put together, some questions were raised
18 about the suitability of this index for this exercise, if it is
19 truly showing the change in abundance, especially now that we
20 compare it to the G-FISHER index.

21

22 The G-FISHER index is now available for lane snapper, and it is
23 available from 2006 to 2023, and so you see the reference time
24 period is not the same as what it was in SEDAR 49.

25

26 Comparing the headboat index and the G-FISHER index for use within
27 the interim analysis, there are some big differences, and so,
28 obviously, the headboat index is derived from fishery-dependent
29 data, and, as such, that's susceptible to other factors, such as
30 changing fishing behavior, due to multispecies management, or just
31 changes in vessel technology, and this can affect changes that
32 will -- It affects how these changes don't necessarily reflect
33 what's happening in the stock abundance, because you're violating
34 one of those main assumptions when you do CPUE standardization,
35 and, when you account for any changes in catchability, what you're
36 left with is changes in stock abundance.

37

38 Another factor is that, during this index development, the
39 different model configurations resulted in pretty different
40 representations of the abundance, and so, depending on how the
41 data was subset, looking at the standard species filters, or if we
42 estimated the Stephens and MacCall coefficients by different
43 regions, we got quite a different answer, and so that gave us
44 pause.

45

46 The fishery-independent index is not subject to the changes in
47 fishing behavior, and, also, the survey design controls were the
48 influence of other factors, and, with this case, G-FISHER is a

1 well-designed fishery-independent survey that has captured enough
2 lane snapper to produce an index of abundance that has relatively
3 low CVs, without the need for extensive model assumptions and
4 standardization, and so where does that leave us?

5
6 The G-FISHER index for lane snapper is only available for from
7 2006 to 2023. This, obviously, does not overlap with the
8 recommended reference timeframe, which we've used for the IA
9 approach in the past for lane snapper, and, for this methodology,
10 both the catches and index reference frame need to match up.

11
12 Also, the estimation of landings have changed since SEDAR 49. As
13 we went back in the data, in QA/QC, the landings have changed, and
14 I can show that in the next slide.

15
16 What we need to decide today is that this reference frame needs to
17 be updated to cover the years when the index and the catch data
18 overlap, and prior to any major changes in regulations, and so
19 what years should we use as the reference frame?

20
21 We have some proposed reference frames here. First, I just wanted
22 to highlight the catches, and so these catches in the green line
23 end in 2017, and then, these updated catches, there's a slight
24 shift in the time series as the data was updated in our database.

25
26 This initial reference timeframe was a ten-year timeframe, and it
27 was chosen as it was a period of relatively stable catches, and
28 you can see that in the figure. The average for this time period
29 was 445,000 pounds. Of course, this does not overlap with the
30 available CPUE, and so we could use the reference timeframe of
31 2006 to 2015, as that is when the CPUE becomes available, and this
32 also corresponds to a time of relative catch stability. The caveat
33 here is that the average catch for this time period is 300,000
34 pounds.

35
36 The next option we have is to use the most recent five years
37 available for the CPUE, which is 2019 through 2023. This is what
38 was originally discussed in the literature. If you go back and
39 look at the original data-limited paper, this is their recommended
40 approach.

41
42 The average catches for this timeframe are 840,000 pounds, and
43 then the other option we're looking at for the reference frame is
44 2009 to 2018, and so this is a similar average catch as what was
45 seen in the initial reference frame, and it is relatively close to
46 when the CPUE index is available, and so, looking at the first
47 reference -- Should I pause here for questions?

48

1 **CHAIRMAN MONCRIEF:** If you're comfortable taking questions now,
2 that's fine.
3
4 **DR. FORRESTAL:** Yes, I'm comfortable now.
5
6 **CHAIRMAN MONCRIEF:** Go ahead, Harry.
7
8 **MR. BLANCHET:** Can we go back to that last slide, please?
9
10 **DR. FORRESTAL:** Yes. Definitely.
11
12 **MR. BLANCHET:** If we're using four of the most recent years as a
13 reference period, what does that really give us? I mean, I see
14 that this is what was recommended in this approach, in the data-
15 limited paper, but I thought that data-limited paper was years
16 old. I'm not quite sure I understand that statement. Thank you.
17
18 **DR. FORRESTAL:** Thank you. That is correct. The original paper
19 is not recent, but their approach just said to use the most recent
20 five years, and there wasn't any particular -- It's also to reflect
21 the most recent management and stock changes, and then the recent
22 frame was in the three years, and so it gives you a snapshot of
23 what's happening then. Then you had another question, or was that
24 the only one?
25
26 **MR. BLANCHET:** The main question was basically, if you take that
27 2019 to 2023 average, and you use that as your standard, how does
28 that give you -- You then use part of that also as your most recent
29 -- The three most recent years?
30
31 **DR. FORRESTAL:** That's correct, and so you would use the most
32 recent five years as the reference, and then the most recent three
33 years as the recent timeframe.
34
35 **CHAIRMAN MONCRIEF:** Harry, if you don't have a follow-up to that,
36 we'll move on to Sean.
37
38 **MR. BLANCHET:** Please.
39
40 **CHAIRMAN MONCRIEF:** All right. Go ahead, Sean.
41
42 **DR. POWERS:** So, on the G-FISHER, is that Gulf-wide or is that
43 mainly just Florida?
44
45 **DR. FORRESTAL:** It is Gulf-wide. They have it split between
46 natural and artificial reefs, and they provided a background
47 presentation, I believe, and that shows exactly where the different
48 components of the different video surveys are located, but it is

1 -- I do believe it's Gulf-wide, but it is concentrated in the
2 eastern Gulf.

3
4 **DR. POWERS:** Yes, and I guess I thought it was only Florida for a
5 while, and then it kind of expanded out, but I'll guess I'll look
6 at that background document, and, in talking about that, you know
7 what the sample sizes were? I mean, I'm just looking at that
8 index, if you want to show it back, and just trying to reconcile
9 -- Have lane snapper really essentially tripled in abundance?

10
11 I mean, I just -- Over that time period, I mean, given how
12 incidental lane snapper are, I just -- I don't know. I'm just
13 wondering what else -- Is there some other sampling, and I know it
14 was standardized to an index, but I'm just wondering what else
15 could be going on there.

16
17 I mean, just locally, I would say that we are seeing more lane
18 snapper, from fishermen, mainly basing this on the fishing rodeo,
19 where we dropped lane snapper as a category altogether, and more
20 and more are now bringing them in, but, you know, just that big of
21 an increase, over that short of a time period -- I don't know, and
22 I'm just looking for things like sampling size, and change in area,
23 that could affect it.

24
25 **DR. FORRESTAL:** That is a good point. It does increase. I do
26 believe that Ted might be on today, and he would be the best person
27 to answer the questions, because I do think they account for that
28 when they designed the survey and did the standardization.

29
30 **CHAIRMAN MONCRIEF:** All right. If we can get Ted on there to
31 comment to that, and then we'll move to John after that.

32
33 **DR. POWERS:** I have one more question, and I'm sorry.

34
35 **CHAIRMAN MONCRIEF:** Go ahead, Sean.

36
37 **DR. POWERS:** While we wait on that, what were the CVs on the
38 landings, given that this is relatively incidental?

39
40 **DR. FORRESTAL:** Unfortunately, I do not have those right now, but
41 they are from the MRIP database.

42
43 **DR. POWERS:** I got you. I just -- That's it, Trevor.

44
45 **CHAIRMAN MONCRIEF:** Okay. Appreciate you, Sean. Let's see if we
46 can get Ted to respond to that sample size question, and then we'll
47 move to John.

48

1 **MR. TED SWITZER:** Got you. I just got my mic on here, and so
2 thanks. There has been increasing effort in the G-FISHER survey,
3 and increasing spatial coverage. The approach we implement does,
4 in most cases, account for that. In this case, yes, and that's
5 something we do take into account when we look at these indices,
6 is whether that is influencing what's going on.

7
8 In this case, all three of the historical surveys, Panama City,
9 Pascagoula, and FWRI, were in place by 2010, and so there's been
10 increases in sampling efforts since 2010, but, since then, there
11 hasn't been a massive expansion into new areas, and so just filling
12 in some gaps, and so I think this is probably real, at least the
13 dramatic increase in time.

14
15 I believe this index, and, again, you know, Francesca mentioned
16 this, the index we provided for the final interim only included
17 naturals, I believe, and Heather Christensen is on as well, who
18 did this analysis, but, even if it did include artificials, it's
19 a minor component, based on the habitat weighting that we apply.

20
21 **CHAIRMAN MONCRIEF:** All right, and so it seems like the
22 representativeness is there. I think we referenced one other
23 person to comment back a direct question, and was that Heather?

24
25 **DR. SWITZER:** Yes, it was. Thanks.

26
27 **CHAIRMAN MONCRIEF:** All right. Let's go ahead and get Heather to
28 respond directly to that, and then we'll move on.

29
30 **DR. HEATHER CHRISTIANSEN:** Hi, and this is Heather. Yes, this was
31 just including the natural habitat, and I think, if you look on
32 the website, you have a background presentation, and it does
33 include the sample sizes, and so, if you want to look at that, it
34 has each individual survey sample size throughout the time and how
35 it was combined with the CART methodology.

36
37 **CHAIRMAN MONCRIEF:** All right. Perfect. Thank you. All right,
38 and so, John, go ahead and then we'll move to Tom.

39
40 **MR. MARESKA:** Yes, and I had similar questions that Sean had, and
41 I went back and looked at the SEDAR 88 paper, and, in 2016, the
42 FWRI survey basically went shelf-wide at that point. I still think
43 there were some subtle gear differences between the Panama City
44 survey versus what they went Gulf-wide with, and so I think -- Ted
45 can answer this, but I think, in 2016, the FWRI survey was pretty
46 much standardized across the entire shelf, and so I think that may
47 be contributing to that increase in 2016.

1 **CHAIRMAN MONCRIEF:** All right. I hate to put you back on the spot,
2 Ted, but go ahead.

3
4 **DR. SWITZER:** That's no worries. That's why we're here, and so
5 the gear differences were not an issue. We've always maintained
6 the exact same video gear among all three labs, and so that wasn't
7 the case.

8
9 You are right, and so, in 2016, we did extend shelf-wide, including
10 overlap with both the Panama City and Pasadena surveys, and so the
11 only potential there, in terms of adding some new areas, would
12 have been maybe the south Florida, and, again, I'm looking at the
13 presentation, and it doesn't look like our densities were that
14 much different in south Florida, in terms of percentages of
15 positive sets, and so, yes, it did extend full coverage, but it
16 really wasn't extending into new areas, except, again, that
17 southern Florida expansion.

18
19 **CHAIRMAN MONCRIEF:** All right. I've got one more hand. Sean, are
20 you going for a round two, or is that just a ghost hand?

21
22 **DR. POWERS:** Round two, and so I understand, Ted, how you control
23 for sampling effort, and how that can be standardized sample size
24 and all that, but how does this control for that exact last point
25 when you go to an area that you haven't gone to before, and is
26 that really -- Is that the only example, that you all just moved
27 to south Florida, and everything else was just more sampling effort
28 within areas you already had covered?

29
30 **DR. SWITZER:** With the Florida expansion, and G-FISHER, and the
31 NFWF expansion, that's correct. When it comes to dealing with
32 spatial expansion through time, essentially what we apply is --
33 Again, there's a -- We can provide the paper Kevin Thompson wrote
34 a few years ago.

35
36 Essentially, we apply an area weighting and habitat weighting
37 approach to account for that, and so we estimate how much area the
38 individual surveys cover, and then we partition that to various
39 habitat qualities, based on some classification regression tree
40 analyses, and, again, nuts and bolts, either Heather or Justin or
41 Kate Overly, who are on the line, could talk about the actual
42 analytical methods that they used, but we do apply a weighting
43 approach to account for that.

44
45 **DR. POWERS:** Thanks, Ted.

46
47 **CHAIRMAN MONCRIEF:** I forgot that I whiffed on Tom. Tom, do you
48 still have a comment?

1
2 **DR. FRAZER:** I do, but I think John Froeschke had a comment first,
3 and I'll follow up.
4

5 **CHAIRMAN MONCRIEF:** Sounds good. Go ahead.
6

7 **DR. JOHN FROESCHKE:** Thanks, and so I looked at the report that
8 was provided in the postponed section, and it has a table in there
9 of the index values at that time, and the sample size, and I
10 plotted them, and they overlay almost exactly. If you take a
11 correlation coefficient of those two values, it's 0.87, almost. I
12 mean, the sample size, when it triples, the index triples, and, to
13 me, that's concerning.
14

15 I understand there was standardization in there. I'm just
16 concerned that something was not fully accounting for that
17 increase, whether it was differences in the location, the
18 geography, or the suite of habitats or something, but, to me, it
19 looks like it's not a linear increase.
20

21 There's a period early in the time series where it's flat, and
22 then there's an essentially tripling, and then it's flat again at
23 an elevated level, and it's just having a hard time seeing that
24 that would be consistent with the stock, what it could do.
25

26 **CHAIRMAN MONCRIEF:** All right. Very good point. Any questions
27 directed toward anybody there, or are we good to move to Tom? Go
28 ahead, Tom.
29

30 **DR. FRAZER:** Okay, and I think John's point is a good one, and I
31 think we need to think about that a little bit, and my question,
32 my original question, might have been answered. I think Ted
33 allayed some of my fears, I mean, but the question is does the G-
34 FISHER sampling kind of design fully capture the exploited
35 population, and it sounds to me like people are fairly confident
36 that it does.
37

38 Assuming everybody is good with that, then my next question though
39 is are there any biological data that were considered here, and
40 what I'm particularly interested in is lengths. I doubt that we
41 have enough weights, and, if we have the biological data, did you
42 guys look at any length-based assessments that might provide a
43 little insight into these patterns?
44

45 **DR. FORRESTAL:** I believe the lengths are in the presentation,
46 but, for the specific internal analysis, we've never used length-
47 based interim analyses.
48

1 **CHAIRMAN MONCRIEF:** All right. I hope that covers your question.
2 Dave Chagaris, go ahead.

3
4 **DR. CHAGARIS:** I recall in a previous snapper assessment, and I
5 think it was either mutton or yellowtail, where a G-FISHER index
6 was used in the assessment model, but, to account for the expansion
7 in 2016, it was modeled with a catchability block, to account for
8 that, and I'm assuming that's in addition to whatever, you know,
9 habitat adjustments are made during the standardization process.

10
11 Here, I guess my question would be does the distribution life
12 history of lane snapper make it immune from this need to have sort
13 of an alternative catchability assumption during the more recent
14 time period where you expanded into south Florida?

15
16 This has come up before, but it was handled differently within an
17 assessment model, and so lane snapper -- I don't know a whole lot
18 about their distribution, but, if they are more subtly distributed
19 along the shelf, then that's potentially what could be happening
20 here, where there's a catchability increase as you move into higher
21 habitat that inflates the CPUE over the period since 2016.

22
23 **CHAIRMAN MONCRIEF:** It looks like we've got Heather raising her
24 hand, maybe to respond to that directly.

25
26 **DR. CHRISTIANSEN:** Yes, and so I think you're referring to the
27 mutton snapper assessment, and I think we determined to use the
28 catchability because that assessment was limited basically just to
29 south Florida, and the amount of sampling was much less between
30 the three surveys, but here -- I don't have a solid answer, but I
31 don't know if it would be as appropriate, because this is a Gulf-
32 wide assessment, and so we do have that data through the entire
33 time period. I think it was more predominant in the mutton
34 assessment, because we were looking at just the south Florida data,
35 but we did use catchability to kind of account for that.

36
37 **DR. CHAGARIS:** Thank you.

38
39 **CHAIRMAN MONCRIEF:** All right. Thank you for that, Dave. We are
40 going to move a little bit after this last one. John, go ahead.
41 I've got one comment to add after that, and then we'll finish the
42 presentation and continue our discussion.

43
44 **MS. MATOS:** John Froeschke does not have his hand up anymore.

45
46 **CHAIRMAN MONCRIEF:** All right. John Froeschke doesn't have his
47 hand up. The one thing I was going to say is so, as we go through
48 this, obviously, landings are a part of this analysis. I was just

1 going to have Ryan go through, just to detail for everybody, and
2 I know we haven't had too much management action associated with
3 this species that would, you know, affect catches or anything else
4 like that that we would be looking at.

5
6 We had a couple of seasonal closures there a couple years, but do
7 you mind just kind of going through that and saying whether there
8 is or is not any management bias to take into account in our
9 discussions?

10
11 **MR. RINDONE:** Not until like 2018, and so 2018 is when we had the
12 first catch limit change go into effect, and we've had an update
13 in that since that point, and we recently submitted an increase in
14 the minimum size limit, but that has not been implemented yet.

15
16 What we're hearing from fishermen is that they're catching lane
17 snapper more frequently, and the lane snapper that they're catching
18 are trending, or, you know, they're getting larger, and so I know
19 that, last year, there were a few IGFA submissions for different
20 categories for lane snapper, and I think, Sean, off of Alabama
21 last year, somebody caught a veritable monster. It was like nine
22 pounds, or something like that. It was pretty big, at least for
23 a lane snapper.

24
25 The fishermen are reporting seeing more larger fish and, you know,
26 whether that lines up with the increase that's being observed in
27 the index, as far as the CPUE -- I mean, it kind of does. I don't
28 know that the magnitude would match up, but it does, in the
29 anecdotal sense that we're getting a lot more feedback from the
30 folks on the water that they're seeing more of these fish.

31
32 **CHAIRMAN MONCRIEF:** All right. Good deal. Tracking the fishery
33 is always a good thing to have, and so go ahead and, Dr. Forrestal,
34 I'll finish up the presentation for us, and then we'll go through
35 the rest of our discussion afterwards. Thank you all for that
36 robust discussion.

37
38 **DR. FORRESTAL:** Great. Thank you, all. All right, and so, moving
39 into the first reference time period using G-FISHER, it's 2006 to
40 2015, and this lines up to when the G-FISHER index is available
41 for lane snapper.

42
43 We have the G-FISHER index on the top figure on the left, and then
44 the catches on the right, with the corresponding reference frame.
45 This yields an OFL of over two million pounds, compared to the
46 current one of 1.1 million pounds that were reached in 2023. If
47 you look at the most recent three or four years of the G-FISHER
48 index, it is relatively flat, and so it doesn't really signify

1 such a large increase in abundance from 2023.

2
3 Looking at the next reference frame, we have 2019 through 2023,
4 and so this is using the approach from the literature, and this
5 yields an OFL of 846,000 lane snapper. Again, the index years are
6 relatively flat, and the catches are pretty variable for lane
7 snapper.

8
9 Then the final reference frame we have to look at is 2009 to 2018,
10 and this yields an OFL of 1.3 million pounds. The use of this
11 reference timeframe is relatively in the beginning of the time
12 series that we have available for G-FISHER, and it is the longer
13 time period that does help to account for this annual variability
14 you see in both the CPUE and the catches, to a certain extent.
15 Then, also, as Ryan just noted, 2018 is when we had the first
16 management for lane snapper.

17
18 All right, and so, putting this all together, we have the various
19 reference frames available to us, and the two indices, and so we're
20 recommending to use the G-FISHER index. One of the reference time
21 frames we have for the headboat that can be compared to the G-
22 FISHER yields an OFL of 426,000 lane snapper, and we're also
23 recommending using the reference time frame of 2009 to 2018, which
24 yields an OFL of 1.3 million lane snapper.

25
26 Again, this longer time series can better account for the annual
27 variability, and can better represent this fishery over time, and
28 so it's not just taking into account these wild swings, and,
29 looking at the most recent available landings for lane snapper --
30 For 2025, we don't have all the landings in yet, but, looking at
31 2024 through 2022, it has gone over the ACL, and it comes in around
32 anywhere from 1.1 million pounds to 1.3 million pounds, and that
33 is all I have for you, and I'll leave it up to the group to discuss
34 what the best option is.

35
36 Obviously, we struggled putting this presentation together, and
37 it's not really a clear-cut decision, but we wanted to give all
38 the options, and kind of look at first principles about what the
39 index is showing us, and also what the catches are showing us, and
40 then how to capture how the fishery is doing, and so thank you.

41
42 **CHAIRMAN MONCRIEF:** I appreciate that, Dr. Forrestal. That was a
43 great sum-up of what you provided. Plenty of pros and cons for
44 each one, fishery-independent and fishery-dependent, everything we
45 need to discuss going forward.

46
47 I will say this is going to have to end with a motion, if I'm
48 correct, Ryan, for OFL and ABC. First up, I got a question here,

1 and we'll start the discussion with -- I think Dave is a ghost
2 hand. We'll go to Jim Nance, please.

3
4 **DR. NANCE:** Thanks, Mr. Chair. I think, to get it started, I would
5 like to make a motion, just so we can kind of -- We'll see what
6 happens with this one, and we can discuss this, but motion is the
7 SSC considers the G-FISHER index -- I'll wait for Jess here. **The**
8 **SSC considers the G-FISHER index as best available science and**
9 **recommends using it to estimate the OFL and ABC for the Gulf lane**
10 **snapper fishery.**

11
12 I think, once we discuss this, and make a determination on this,
13 I think that will give us the opportunity to then see what years
14 and those types of things we can use, and so I would like to make
15 that motion, Mr. Chair.

16
17 **CHAIRMAN MONCRIEF:** All right. Thank you. We'll look for a
18 second, and then we'll let our head semantics expert, Ryan --

19
20 **MR. RINDONE:** Mr. Chair, I'm going to interfere upfront.

21
22 **CHAIRMAN MONCRIEF:** Okay. Mr. Semantics, go ahead.

23
24 **MR. RINDONE:** So, per guidance that we have from NOAA Fisheries,
25 the SSC shouldn't consider an index, or a survey by itself, as
26 consistent with BSIA, because it's just that. It's just a survey.
27 It may do a good job of surveying some things well, and other
28 things not so well, and so what the SSC has been compelled to
29 recommend as being consistent with BSIA is the analysis.

30
31 So, just to get in front of this, and I think this is where Dr.
32 Nance was going, but it would instead read something like the SSC
33 considers the 2026 interim analysis for lane snapper using the G-
34 FISHER index as consistent with the best scientific information
35 available, period.

36
37 Then, from there, you guys could talk about whatever it is that
38 you want to talk about with regard to the catch limits, using the
39 G-FISHER index as consistent with the best scientific information
40 available.

41
42 **DR. NANCE:** Okay. We don't have to have anything on the end that
43 we consider it usable for OFL and ABC?

44
45 **MR. RINDONE:** If you use it to set the OFL and ABC, then that will
46 kind of be evident.

47
48 **DR. NANCE:** Okay.

1
2 **MR. RINDONE:** But, no, you don't have to have that on there.
3
4 **DR. NANCE:** Okay.
5
6 **CHAIRMAN MONCRIEF:** All right, Ryan. That's why we keep you
7 around, buddy.
8
9 **MR. RINDONE:** After "BSIA", you could delete everything else, and
10 so with BSIA --
11
12 **DR. NANCE:** I think that reads well, Ryan. I accept that.
13
14 **CHAIRMAN MONCRIEF:** All right, and so we've got an amendment to
15 the motion that was made by Jim. Have we got anybody to second?
16 I've got a raised hand by Sean.
17
18 **DR. POWERS:** Yes, and I'll second it. I think that G-FISHER --
19 This approach isn't -- I'll have a different view on the years,
20 but I second this motion.
21
22 **CHAIRMAN MONCRIEF:** All right. Thank you, Sean, and so, with that,
23 we'll have any discussion. Anything else around this motion
24 itself, before we move forward on it? Anybody got any questions?
25
26 **DR. FROESCHKE:** I've got a question, and I can't figure out how to
27 raise my hand fast enough.
28
29 **CHAIRMAN MONCRIEF:** You got it. Go ahead.
30
31 **DR. FROESCHKE:** I guess, just if we were to pass this -- If you
32 pass this motion, in the summary, what rationale would we say? I
33 mean, the sample size and the index correlation seems very strong,
34 but we don't -- Are we going to provide some rationale, or do we
35 think that's sufficiently accounted for, and it's just there, or
36 something else?
37
38 **CHAIRMAN MONCRIEF:** I think that might come into play when we talk
39 about the different scenarios, because some have more of that
40 impact than others, but I'll let other folks speak to it. Sean,
41 is that a re-raised hand here?
42
43 **DR. POWERS:** Yes, that is. I just wanted to say that, John, I
44 share your concern, but, you know, my -- I think we should set
45 based on 2016 to some date, because that's when the big sampling
46 expansion occurred, is what I was thinking.
47
48 **CHAIRMAN MONCRIEF:** All right. I've got Luiz, and then Tom. Go

1 ahead, Luiz.

2

3 **DR. BARBIERI:** Thank you, Mr. Chairman. I just want to offer a
4 friendly amendment there to that motion from Jim and Sean, right,
5 that would add -- Let me see if I can see this. **The 2016 interim**
6 **analysis using the G-FISHER index, and I would add there with a**
7 **reference frame of 2009 to 2018, and I can explain that in a**
8 **second.**

9

10 **CHAIRMAN MONCRIEF:** All right. Let's check on that friendly
11 amendment. Are both motioners good with it? If they are, you can
12 go and explain.

13

14 **DR. NANCE:** I'm fine with that, once I hear what Luiz has to say
15 what the explanation is.

16

17 **CHAIRMAN MONCRIEF:** All right. Sean.

18

19 **DR. POWERS:** I would like to hear what Luiz has to say, because I
20 was thinking, you know, 2016 to some date, just because of the
21 sampling effort, and the area issue, but I'll --

22

23 **CHAIRMAN MONCRIEF:** Let's hear it, Luiz.

24

25 **DR. NANCE:** Let me just say what I tried to do with the original
26 motion was keep dates out of it, but just the -- To have the G-
27 FISHER index itself, and then we could have the dates, because I
28 think the dates are going to be important for our OFL and ABC
29 discussions, but, Luiz, I would certainly like to hear your
30 discussion though.

31

32 **DR. BARBIERI:** Thank you, Jim. Thank you, Sean as well. The
33 rationale here is I think that this reference frame is a little
34 bit of a compromise, sort of like the middle-of-the-road approach,
35 as you look at the two other values, right, the two other reference
36 periods.

37

38 Yes, Sean, this does include 2016, but, because it extends into
39 2018, and that includes also a decrease in the index, that helps
40 somewhat compensate, so to speak, you know, the large increase in
41 2016, and then, when we compare the values, right, between the
42 two, because we're going to have to choose a reference period,
43 either 2006 to 2015, which gives us a massive increase, and the
44 OFL kind of sort of doubles.

45

46 If we look at -- If we use the 2019 to 2023, there is not just no
47 increase, really significant, but this would cause a decrease in
48 ABC, right, of about a little bit less than 200,000 pounds, and,

1 considering that this fishery has been expanding, as everyone has
2 pointed out, I mean, this might require the council to take action
3 on things that may not be really, really consistent with the
4 condition of the stock, and it just reflects -- I mean, any
5 variation, inter-annual variations, in recruitment, et cetera,
6 would cause the council to have to take some kind of a management
7 action.

8
9 Accepting how much more uncertain we have this determination, based
10 on the data-poor, data-limited approach, my recommendation would
11 be to go with a middle-of-the-road reference period that would
12 give us a number that is reasonable.

13
14 **CHAIRMAN MONCRIEF:** All right. Hearing the explanation, I'll go
15 ahead and let you all reconsider that friendly amendment, whether
16 you like it or not.

17
18 **DR. POWERS:** You know, I'm good with it. I like Luiz's rationale.
19 I guess I never thought about if we only use -- Like, if I was
20 going to advocate 2016 to 2020, that would really be during the
21 high part of the series, and that would reflect that, you know, we
22 would like to watch what the G-FISHER index does for a few more
23 years, and whether it stays this high or not, and so I'm fine with
24 it, your rationale, Luiz.

25
26 **DR. NANCE:** I would accept that, too. This is Jim.

27
28 **CHAIRMAN MONCRIEF:** All right. Perfect. Now that we've got a
29 friendly amendment to that motion, go ahead, Tom, and then we'll
30 move to Ralph.

31
32 **DR. FRAZER:** Thanks, Trevor, and so I think -- Again, I appreciate
33 the discussion that we just had on this. I think it's a good
34 compromise, and I was a little concerned about using the longer
35 reference time period, because, again, that kind of strong
36 correlation with sampling effort, but I think this captures where
37 I would like to be, and so I'm good.

38
39 **CHAIRMAN MONCRIEF:** I would agree. All right. We've got Ralph.
40 Go ahead, bud.

41
42 **DR. TOWNSEND:** Obviously, my background is not in this kind of
43 modeling, but I feel pretty confused on two points. The first one
44 is it seems like the G-FISHER index is implicitly preferred because
45 it's fishery-independent, but there is information in fishery-
46 dependent data as well, and that normally one would find a way to
47 use all of the available information in a data-limited situation.
48 It looks to me like the information from the headboat CPUE is not

1 at all consistent with what G-FISHER is getting.

2
3 My second point of confusion is it seems, to me, that the choice
4 of the timeframe, 2009 to 2018, is based on that we like the
5 answer, which doesn't seem like the right criteria. I think I'm
6 going to abstain on this, ultimately, because I feel fairly
7 confused about what's going on. Perhaps somebody can address those
8 points for me.

9
10 **CHAIRMAN MONCRIEF:** Certainly, Ralph. I understand that
11 abstention, if it comes. Dr. Forrestal, do you mind -- Do you
12 want to tackle that headboat versus fishery-independent, since you
13 had it covered a little bit, and anybody else who wants to weigh-
14 in?

15
16 **DR. FORRESTAL:** Yes. Completely, and so there is information in
17 fishery-dependent indices. Unfortunately, with some recreational
18 fishery-dependent indices, the data does not capture any changes
19 to let's say fishing power through time, or the management
20 regulations that can have an impact on the abundance over time,
21 and so maybe the fishermen aren't going out because gas prices are
22 so high, and so you're seeing fluctuations that might not represent
23 what is actually happening to the stock. If that's the only data
24 input you have, then yes, that is a great source.

25
26 Then the other side for the headboat index is that it also only
27 reflects landings, and so it does not reflect the discards, and so
28 it's not getting the full picture of the stock. Then, when it is
29 standardized to try to account for some of these changes, how it
30 is standardized has a really large impact on the time series, and
31 so you're not getting the same answer, or the same trend, depending
32 on how you treat the data, and so that's also quite a big red flag.
33 Then, for the other point, I think maybe someone else could discuss
34 that.

35
36 **CHAIRMAN MONCRIEF:** All right. I'll go ahead and weigh-in on that
37 headboat side of it, too. That's, obviously, a small portion of
38 the fleet, which I get that, if it's consistent, or representative,
39 it's fine, but that fleet can undergo changes in how they're
40 targeting, and what they're targeting, which could lead to some
41 reflection in the time series that might not be representative of
42 what we truly want to see out of it. I'll stop jabbering, and it
43 looks like we've got Luiz up next. Go ahead, Luiz.

44
45 **DR. BARBIERI:** Thank you, Mr. Chairman, and, Ralph, I think you're
46 absolutely right about the point of us kind of picking and choosing
47 an answer we like, right, and, in this case, I would say we like
48 it for several reasons, I mean, expressing it like this.

1
2 It's because, one, with this being a data-limited analysis, I mean,
3 we can say whatever we want to say, but it's so much more uncertain,
4 and a lot of the uncertainty in it is not so clearly apparent
5 right, and so it kind of forces to make a little bit more of a
6 qualitative -- I mean, first of all, we're going to have to choose
7 the reference frame, right, that we feel is best -- Best represents
8 the trends in the population, but even that, at this point, is
9 somewhat subjective.

10
11 That statement, for me, of the middle ground is that I feel, in a
12 way, that, if we acknowledge that this is the case, we're just
13 being more transparent about the fact that, even though this is a
14 quantitative modeling approach, it is not as without some
15 qualitative expert judgment input as we would like perhaps to have.
16 Your point is well taken, but that would be my justification for
17 that.

18
19 **CHAIRMAN MONCRIEF:** Well put, Luiz. I got Ryan's hand up, real
20 quick. Go ahead and go over to that.

21
22 **MR. RINDONE:** So I think I was just going to add a little bit as
23 far as with, you know, G-FISHER versus the headboat CPUE for Dr.
24 Townsend, and I think most of what I wanted to say about the
25 headboat CPUE has been covered.

26
27 As far as G-FISHER is concerned, Ralph, these are video arrays
28 that are placed on the bottom, and are in an unbiased way, aside
29 from weather and time of day and things like that, and they're
30 just sitting there watching fish, and they're not going to be
31 affected by anything that happens from a management standpoint.
32 They're just passive observers of the environment down there at
33 those specific sampling stations.

34
35 The fishery-independent data are often going to be viewed a little
36 bit more favorably, in that regard, than the fishery-dependent
37 data, and that is not uncommon for the SSC, in its history anyway,
38 to favor a fishery-independent index over a fishery-dependent one,
39 if only for the avoidance of management bias.

40
41 **CHAIRMAN MONCRIEF:** All right. Thank you, Ryan. I'll go back to
42 my hands. I've got Harry, and then we're going to go to Tom.

43
44 **MR. BLANCHET:** We talk about the headboat index. I know that the
45 council has its Fisherman Feedback tool, but the headboat index is
46 based upon a relatively small subset of the recreational fishery.
47 Has anyone ever asked the headboat captains about changes in their
48 fishing behavior over time with regard to any species such as this?

1 I mean, that may or may not explain some of this difference, but
2 it might also give me a little bit more comfort.

3
4 The problem that I have is I looked at that red grouper piece,
5 and, if you take the G-FISHER out of it, you get a very different
6 perspective, and not necessarily positive, about the status of
7 that stock, and so I'm looking for something to help support our
8 preferences beyond this is fishery-dependent and this is fishery-
9 independent. We've got other fishery-independent indices. We've
10 got a trawl index, and has anyone looked at that?

11
12 **CHAIRMAN MONCRIEF:** To that point, Ryan?

13
14 **MR. RINDONE:** So, as far as talking to the fishermen, I've talked
15 to some of the headboat guys, and what I've got from them is that,
16 over time, like beginning in mid-2010s, they started to catch more
17 lane snapper, and, especially in the 2020s, they've caught a lot
18 more lane snapper.

19
20 They've started to recognize areas where they know that they can
21 do a little bit better at catching them than others, but it's still
22 not like a directly targeted thing, where it's like, oh, we're
23 going out today explicitly for lane snapper. It's usually we're
24 going out to catch mangos, and red grouper, and what have you else,
25 and we were probably going to catch a fair amount of lane snapper
26 with them, and so it's a co-occurrence thing, but they are seeing
27 more of these fish than they have in the past, and they are seeing
28 an increase in the length and weight composition.

29
30 **MR. BLANCHET:** So that tells me that we should be seeing an increase
31 in that index then. What you didn't say was we're actively trying
32 to avoid them, or we are able to fill our box without using lane
33 snapper, those things that might affect the fishery-dependent
34 index.

35
36 **MR. RINDONE:** Well, they're not -- There's not any active avoidance
37 of lane snapper. They just happen to be more common in the places
38 where these headboats are taking passengers, and I don't have any
39 like formal data or anything to differentiate on like trip
40 duration, or anything like that, or distance from shore, and that
41 would certainly prove an interesting discussion, but there's no
42 active avoidance of lane snapper, but there's also a healthy bag
43 limit on them. Are they part of the ten-snapper, or are they part
44 of the twenty-snapper aggregate? Who did that last?

45
46 **UNIDENTIFIED:** Twenty snapper.

47
48 **MR. RINDONE:** So, I mean, technically, you could keep twenty of

1 them, if that's all you caught and kept, and so there's no real
2 reason to be tossing them back, and, if you're on a headboat, and
3 there's thirty or forty or fifty of you, however many on the
4 headboat, it's a group effort, at the end of the day, and what was
5 the other side of your question, Harry? There was a second part.

6
7 **MR. BLANCHET:** The other part was we have other fishery-independent
8 indices. Has anyone looked at something like a trawl index of
9 abundance, or anything like that?

10
11 **MR. RINDONE:** So, once upon a time, when we did SEDAR 49, all the
12 available indices of abundance at that time, and it was like 2016
13 when that was completed, those were all looked at.

14
15 At the time, the most representative index considered for lane
16 snapper was the headboat CPUE, which in and of itself is telling,
17 right, because the headboat CPUE is a microcosm, if you will, of
18 the broader recreational fleet, and it's subject to its own biases,
19 and it's a fishery-dependent index, and it was considered to be
20 the most representative for lane snapper, above any other fishery-
21 independent indices, which were inherently given priority as part
22 of that larger data-poor modeling effort.

23
24 Priority was stressed at like let's try to find a fishery-
25 independent index first, and, if we can't, and there's a fishery-
26 dependent one that's just going to be better, then we'll, you know,
27 move to that one, but the goal, to avoid the effects of management
28 bias, was to focus on the fishery-independent indices, and so there
29 wasn't a good one for lane snapper at the time.

30
31 Now we have G-FISHER, which covers a large swath of the occupied
32 habitat used by the animal in the region, and, importantly, it
33 also covers where the majority of the fishing effort on the species
34 occurs, and so the changes that we would ultimately see from G-
35 FISHER, with respect to things like general abundance and length
36 composition, should also be reflected in what the fisheries are
37 experiencing, because there's overlap there.

38
39 **MR. BLANCHET:** So, again, that was, what, almost twelve years ago
40 now.

41
42 **MR. RINDONE:** Sure.

43
44 **MR. BLANCHET:** We did not have, at that point, the eastern Gulf
45 length of sampling that we have for the trawl fishery, or, I'm
46 sorry, the trawl index of abundance, the SEAMAP trawl index of
47 abundance, that we do today. Has it been looked at?

1 **MR. RINDONE:** No, and it lends more support for the idea of, you
2 know, it might be time for us to step away from Itarget and consider
3 a different assessment approach for lane snapper, because inherent
4 to the interim analysis process is to focus on a single index of
5 abundance, and to use that as being representative of what's
6 happening to the animal at large, and, if we were going to be doing
7 a reconsideration of multiple indices, and, like Dr. Townsend had
8 mentioned, like why don't we use more than just one, and why don't
9 we use both, well, now we're getting into a more -- A different
10 type of analysis, as opposed to what was done here.

11
12 **CHAIRMAN MONCRIEF:** All right. Are we ready to --

13
14 **MR. BLANCHET:** I agree.

15
16 **CHAIRMAN MONCRIEF:** We're going to go back and forth. Thank you,
17 Harry. I am going to be cognizant of our time a little bit. We
18 are stretching a little bit, I think, beyond this one. We're going
19 to try to move forward on it. Ralph, I hate to skip over you
20 again. Is your hand still up for another comment, or is it a ghost
21 hand?

22
23 **DR. TOWNSEND:** Ghost hand.

24
25 **CHAIRMAN MONCRIEF:** Okay. Ghost hand. All right. Tiffany, go
26 ahead.

27
28 **DR. HOPPER:** All right. I wanted to just echo some things some
29 other folks have said with regard to the time period. Using that
30 2009 to 2018 certainly increases my comfortability with that, that
31 it does sort of give a long enough period to account for some inner
32 year variability. and that it does cover that sort of jump period
33 in 2016 with the G-FISHER index.

34
35 I may have missed this earlier, but the question I had was why
36 2009 to 2018 was the exact period, whether that was simply because,
37 if you pick those ten years, you get 440,209 pounds as the average
38 catch, as compared to, you know, perhaps 2010 to 2019, that would
39 be kind of similar, and that it would cover that same jump period,
40 cover that longer period of time, and I just wanted to get a little
41 bit of clarification on why we are at 2009 to 2018, versus
42 something that might be very similar, but might be slightly
43 different, in terms of a start date.

44
45 **CHAIRMAN MONCRIEF:** Go ahead, Dr. Forrestal.

46
47 **DR. FORRESTAL:** Thank you. Yes, and we were kind of -- As we don't
48 have a reference period for G-FISHER, we just went to what is the

1 best starting point, looking at when the CPUE is available, when
2 there are major changes in regulations, and so 2018 did have that
3 change in fishing regulations, and we did want it to be closer to
4 the average catch from the initial reference time period, but it
5 wasn't arbitrarily selected, but there are other -- We could look
6 at other time series, but it's still just kind of -- At that point,
7 it's picking and choosing. Also, I do believe the fishery did
8 close down in 2019, and so that would have an impact on these
9 results.

10

11 **CHAIRMAN MONCRIEF:** It was scattered with a couple of December
12 closures in there, I think twice, maybe. Tiffany, if that
13 satisfied your question, we'll move on to John.

14

15 **DR. HOPPER:** That does indeed. I appreciate that clarification,
16 just kind of putting that all in one place there for us.

17

18 **CHAIRMAN MONCRIEF:** Perfect. Thank you. Go ahead, John.

19

20 **MR. MARESKA:** Yes, and so, following up on John Froeschke's
21 concern, and Tiffany's question as well, so the current reference
22 period, 2009 to 2018, I'm just worried about the increase in
23 spatial coverage and sample size with this time period.

24

25 Going back again and looking at working papers from previous
26 SEDARs, the FWRI survey really kicked off in 2010, and so I don't
27 know, if that increase in spatial coverage there on the West
28 Florida Shelf, if that caused that decrease there.

29

30 Then, just looking at the previous SEDAR 88, the red grouper paper
31 actually, I'm kind of proposing maybe 2014 would be a better
32 starting period, rather than 2009, but I know you probably don't
33 want discussion to go on much longer, but I'll get my thoughts out
34 there. Thank you.

35

36 **CHAIRMAN MONCRIEF:** I appreciate all the thoughts. I think it's
37 a valid thing to raise, and I think we're at a point now -- We've
38 got a couple of ghost hands left, and so, Ralph, do you actually
39 have one, or do you still got a ghost hand up?

40

41 **DR. TOWNSEND:** Yes, and I guess I do have a question.

42

43 **CHAIRMAN MONCRIEF:** Go ahead.

44

45 **DR. TOWNSEND:** We're saying this is consistent with best available
46 science when there's discussions about whether using the trawl
47 surveys, combining the information from the three surveys, would
48 be better.

1
2 I guess, how are we reaching the decision that this -- I mean,
3 somehow we're saying it's the best available science within the
4 constraints of the index approach, and is that really what we're
5 saying? I guess it seems to me like the discussion is not --
6 People aren't really saying it's the best available science.
7 They're saying there could be something better, and we're not
8 really sure we've looked at it, and so, again, I find myself, I
9 guess, confused about what this means. I'll leave it there.

10
11 **CHAIRMAN MONCRIEF:** All right. I think we've got a Tom hand.
12 Ryan, the consistency versus is kind of comment, all that kind of
13 stuff, if you want to address that, feel free, but go ahead, Tom.

14
15 **DR. FRAZER:** A couple of things, and I'll try to be quick, Trevor,
16 and so, with regard to the best scientific information available,
17 I think, you know, it's always tempting to say there's something
18 better out there, right, but this is the tools that we had at hand
19 for this particular interim analysis, and so I get that. I think
20 that's where we are. I think that statement holds.

21
22 There was a lot of discussion about the relative importance, or
23 the difference, between the fishery-dependent and the fishery\
24 independent index, and, with regard to the headboat survey, it's
25 my opinion that that survey has already been compromised.

26
27 We're not going to do dockside sampling, or we're going to have a
28 reduction of that, in the western Gulf, I think, and we're probably
29 -- That index will not be maintained, and so, if we're going to
30 move away from it, now is probably the time to move away from it.

31
32 Then, again, by using this particular reference period, it still
33 allows the analyst some time to address John's pretty important
34 point that, you know, the index value scales with sampling efforts,
35 and so I think the analyst should take some time -- You know, when
36 we're done with this, you know, they shouldn't be satisfied. I
37 think they should go back and look at that a little bit and figure
38 out why there's such a strong correlation. 0.84 is pretty high,
39 and so that's it, Trevor. Thanks.

40
41 **CHAIRMAN MONCRIEF:** All right. Thank you, and so, being that we've
42 had a robust discussion, and we've had a lot of opinions on it,
43 and I think it's been a good one for this one. All the areas we
44 wanted touched will certainly be reflected, I think, as we go
45 through the conversations, with whatever comes out of here. I
46 think it's time for us to go ahead and take a vote on this motion.
47 I know we've heard a little bit of dissent, and some abstain, and
48 so I'll leave it to the folks in the room, but this might be

1 worthwhile just to run down the list and roll call it.
2
3 **MR. RINDONE:** I mean, you could just do it by roll call. Let's
4 just do that. It's faster.
5
6 **CHAIRMAN MONCRIEF:** All right.
7
8 **MS. MATOS:** John Mareska.
9
10 **MR. MARESKA:** Yes.
11
12 **MS. MATOS:** Luiz Barbieri.
13
14 **DR. BARBIERI:** Yes.
15
16 **MS. MATOS:** Ralph Townsend.
17
18 **DR. TOWNSEND:** Abstain.
19
20 **MS. MATOS:** David Griffith.
21
22 **DR. GRIFFITH:** Yes.
23
24 **MS. MATOS:** Paul Mickle.
25
26 **DR. MICKLE:** Yes.
27
28 **MS. MATOS:** Trevor Moncrief.
29
30 **CHAIRMAN MONCRIEF:** Yes.
31
32 **MS. MATOS:** Jim Nance.
33
34 **DR. NANCE:** Yes.
35
36 **MS. MATOS:** Tiffany Hopper.
37
38 **DR. HOPPER:** Yes.
39
40 **MS. MATOS:** Sean Powers.
41
42 **DR. POWERS:** Yes.
43
44 **MS. MATOS:** Steven Scyphers.
45
46 **DR. SCYPHERS:** Yes.
47
48 **MS. MATOS:** Jack Isaacs. I see you're unmuted Jack, but I cannot

1 hear you.
2
3 **DR. JACK ISAACS:** Yes.
4
5 **MS. MATOS:** We hear you now. Harry Blanchet.
6
7 **MR. BLANCHET:** No.
8
9 **MS. MATOS:** Andrew Ropicki.
10
11 **DR. ROPICKI:** Yes.
12
13 **MS. MATOS:** Will Patterson.
14
15 **DR. WILL PATTERSON:** Yes.
16
17 **MS. MATOS:** David Chagaris.
18
19 **DR. CHAGARIS:** Yes.
20
21 **MS. MATOS:** Dan Petrolia.
22
23 **DR. PETROLIA:** Yes.
24
25 **MS. MATOS:** Tom Frazer.
26
27 **DR. FRAZER:** Yes.
28
29 **CHAIRMAN MONCRIEF:** All right, and so I probably could have asked
30 for that one, but I figured, given the conversation, we might as
31 well go down the list on it. It does make the next step a little
32 bit easier, I think, because we have identified the years. We
33 have identified kind of the direction we're going, and so I'm not
34 sure if anybody has typed up a motion, or wants to field one, to
35 give values to fill in that OFL and ABC blank.
36
37 **DR. POWERS:** I'm happy to do it, Trevor, if we can get just the
38 number from the presentation.
39
40 **MS. MATOS:** Sounds great. Jess, you mind helping him out there?
41
42 **MR. RINDONE:** The OFL is 1,336,445 pounds. That's for lane, and
43 not for red grouper. There would be a lot of really disappointed
44 people if that -- Then you guys need to decide to what degree you
45 want to buffer the ABC from the OFL.
46
47 It might be useful to bring up that slide from Francesca's
48 presentation, which showed, I think, a P* of 30 or 40 percent.

1 There you go, and so, for that 2025 line there on the lower-right,
2 at 30 percent, the ABC is 1,304,917 pounds, and, at 40 percent,
3 it's 1,321,276 pounds.

4
5 **DR. POWERS:** I'll use the 30 percent, just because so many things
6 seem to be positive about this stock, and we know that it's one
7 that's going to probably do better in the warmer temperatures, and
8 so we'll start -- I'll at least propose the 30 percent.

9
10 **MR. RINDONE:** So the whole motion would read something like the
11 SSC recommends an OFL of 1,336,445 pounds whole weight and an
12 acceptable biological catch of 1,304,917 pounds whole weight, and
13 that's for 2026 and subsequent years.

14
15 **DR. NANCE:** We need to also put that this is for the Gulf lane
16 snapper fishery, and I'll second that, Mr. Chair.

17
18 **DR. POWERS:** For the Gulf lane fishery. I guess we'll also put
19 "based on the 2026 lane snapper interim analysis". Can you go
20 back to that table? Is that an SPR of 30 percent and SPR of 40
21 percent?

22
23 **MR. RINDONE:** No, and it's P*.

24
25 **DR. POWERS:** P*. Okay. Now I understand. Gotcha. 30 percent.

26
27 **MR. RINDONE:** So, Jess, I can read it out for you.

28
29 **DR. POWERS:** I'm good with the motion, if Jim is.

30
31 **MR. RINDONE:** So it's the SSC recommends an OFL for Gulf lane
32 snapper of 1,336,445 pounds whole weight and an acceptable
33 biological catch of 1,304,917 pounds whole weight for 2026 and
34 subsequent years, based on the 2026 lane snapper interim analysis.

35
36 **DR. POWERS:** Why are we saying subsequent years? Don't we usually
37 set it for three years?

38
39 **MR. RINDONE:** You can set it for three years, but, in effect, it
40 will be in place until the council takes management action to do
41 something different, and so that's why I said for 2026 and
42 subsequent years, because, what Francesca has listed in the
43 interim, and the way that the OFL and ABC recommendations from the
44 interim come, it's for that point until changed.

45
46 **DR. POWERS:** Yes, but I would rather --

47
48 **MR. RINDONE:** Okay.

1
2 **DR. POWERS:** Because that gives the impression we have more trust
3 in this than we have. **Just put 2026 to 2028.**
4
5 **MR. RINDONE:** Okay.
6
7 **DR. POWERS:** Jim, are you all right with that?
8
9 **DR. NANCE:** I'm fine with that. I think this needs to be changed,
10 because lane snapper was up in the front and everything else, and
11 so --
12
13 **CHAIRMAN MONCRIEF:** All right, and so we've got a motion on the
14 board. We've got some changes there. Do we have any discussion
15 around it? Let's see if we've got hands up here. Ralph, ghost
16 hand or new hand?
17
18 **DR. TOWNSEND:** Ghost hand.
19
20 **CHAIRMAN MONCRIEF:** Ghost hand. All right, and so I'll ask, since
21 we went through this last one, Ralph, do you still want to abstain
22 from this?
23
24 **DR. TOWNSEND:** No, and I'll support this.
25
26 **CHAIRMAN MONCRIEF:** Okay. Harry, still want to be a no?
27
28 **MR. BLANCHET:** I'll support it. The first one passed.
29
30 **CHAIRMAN MONCRIEF:** All right, and so if anyone else -- If anyone
31 else wants to say no, say it. If not, we're going to say it passed
32 with full support. **Seeing no comment, or no raised hands, motion**
33 **carries with no opposition.**
34
35 All right. Appreciate that one. That certainly was one that we
36 had to look at pretty closely there, and so I appreciate that we
37 took a little bit of extra time to go through it. This next one
38 is informative. It looks like we're moving on to red grouper.
39 Ryan, if you want to cover the scope of work for it.
40
41 **GULF RED GROUPER INTERIM ANALYSIS HEALTH CHECK**
42
43 **MR. RINDONE:** Got it, and so Francesca is back for an encore to
44 present the interim analysis for Gulf red grouper, which also uses
45 G-FISHER. The last stock assessment for red grouper was SEDAR 88,
46 and it used G-FISHER as well, and it's provided as background for
47 you guys.
48

1 The council is currently considering an amendment to the Reef Fish
2 FMP, which is Amendment 62, that would incorporate the new
3 catchment recommendations that you guys made in response to SEDAR
4 88, and, because that is in development, and hasn't been
5 implemented yet, that's why this red grouper interim analysis is
6 being done as a health check, and so you guys should consider the
7 information presented, ask questions, and make any recommendations
8 to the council, as appropriate, but catch limit recommendations
9 are not part of this one, and so Mr. Chair.

10
11 **CHAIRMAN MONCRIEF:** All right. Thank you. Then, Ryan, given what
12 the council is working on, isn't there something in there about
13 reviewing this one pretty regularly?

14
15 **MR. RINDONE:** Yes, and this is one of the ones that you all see
16 annually.

17
18 **CHAIRMAN MONCRIEF:** All right. All right, and so we're going to
19 see it this time, and we'll be seeing it in perpetuity, and so,
20 Dr. Forrestal, go ahead.

21
22 **DR. FORRESTAL:** Thank you very much, and I just need to share my
23 screen. Okay. It's me again. Before I get started on red grouper,
24 I just wanted to note that the headboat data is still valuable,
25 but just, in the case of the lane snapper, it was not as
26 representative, when we compared it to the G-FISHER, and so I don't
27 want to totally -- You know, headboat is still useful, but, moving
28 into Gulf red grouper. As noted, this is just the health check
29 for 2026. It's not a full interim analysis.

30
31 How the species in the Gulf has been -- How the interim analyses
32 have been done in the past, and so, in 2021, the catch advice was
33 adjusted using an index-based harvest control rule and a three-
34 year moving average of the NMFS bottom longline survey index of
35 abundance. In 2022, this interim analysis was just used as a
36 health check, and so it was not used to adjust catch advice. The
37 same for 2023, and, in 2024, the health check was requested using
38 updating the available fishery-independent indices, and, again,
39 the catch advice was not adjusted. In 2025, we had SEDAR 88, and
40 the terminal year of that was 2022.

41
42 A health check for this stock was requested by updating the
43 available G-FISHER index. The previous health check on this was
44 done with the bottom longline survey, as well with the groundfish
45 survey.

46
47 From the last assessment, the groundfish survey was selecting
48 younger age classes, and so it was not fully representative of the

1 entire stock, and I just wanted to revisit this slide.

2
3 One of the reasons why the G-FISHER was selected as a health check
4 is that it is very closely tied to the overall time series of the
5 assessment, and so this is the jackknife, where an index is
6 removed, and to see which has an influence on the derived
7 quantities.

8
9 The blue line is when the combined video index, which is the G-
10 FISHER index, has a very strong effect on the time series,
11 particularly if you look at the spawning output and fraction of
12 unfished.

13
14 These are the ABC projections that were presented in February of
15 2025. Since then, the council requested this management begin in
16 2025, as opposed to 2027, and so that changed the ABC from 8.78
17 million pounds gutted weight to 8.28, and so this is what was in
18 effect for the emergency rule, and the emergency rule went into
19 effect from August of 2025 through the end of December, and so it
20 just ended.

21
22 Then, once Amendment 62 comes into force, I believe this will be
23 the ABC, but, looking at the G-FISHER combined video survey, the
24 red is what was used in the assessment, and the blue is the index
25 updated through 2024.

26
27 There are some differences between the trends. There is a lower
28 abundance than was observed in SEDAR 88 in 2018 and 2019, and this
29 is due to the fact that there was some QA/QC, and there were some
30 missing stations that were not used in the assessment, and adding
31 those stations back in changed how the CART model was standardized,
32 and so it changed the time series slightly, and that's why you see
33 those differences.

34
35 Most importantly, we do see an increasing abundance trend from
36 2019 through 2024. The model did include red tide years, and these
37 are highlighted. The important thing to note is that this time
38 period does not cover when the emergency rule went into effect
39 from August through December, and so we won't be seeing any impacts
40 of that increase in catch limits.

41
42 Then, looking also at the bottom longline survey, there are very
43 similar trends between the two indices. There are slightly lower
44 abundance observed in 2022 to 2023, when looking at the time series
45 as a whole, but the abundance does increase from 2023 onwards,
46 and, again, we have the red tide years in here.

47
48 This is all I have for you, just to give you the health check of

1 red grouper. I think next year will be much more informative,
2 because we will have data from 2025, when the emergency rule went
3 into effect, but I will open it up to questions.

4
5 **CHAIRMAN MONCRIEF:** All right. That's perfect. Figuring next
6 year might be -- That will be a good one to be able to see. I
7 mean, we are seeing some positive movement here, and so I think
8 that's a good thing to note. Ryan, have you got any comments on
9 what's been seen, you know, on the water as of late, or anything
10 else like that? I know we like to hear that, every now and then
11 when we go through these kind of discussions.

12
13 **MR. RINDONE:** Well, I actually have personal experience to share
14 on this particular animal, and there are quite a few red grouper
15 out there, it seems, in like the eighteen to twenty-two-inch range,
16 and so lots of, you know, three to four-year-olds, is what a lot
17 of the fishermen are reporting seeing.

18
19 Generally positive things, and so, once you get out into the deeper
20 waters though, it's finding those larger fire trucks, if you will,
21 those larger red grouper. You know, some folks are saying that
22 they're a little bit harder to come by, but the large preponderance
23 of, you know, three to four-year-olds, in waters, you know, between
24 say, sixty feet out to 150 or 180 feet, has been something
25 fishermen have found to be encouraging.

26
27 **CHAIRMAN MONCRIEF:** All right. Good deal. Anybody have any
28 comments on the presentation? I would also say I appreciate the
29 comment on the headboat to start with. We certainly don't want
30 anybody to get the idea that fishery-dependent data is invaluable,
31 and so, if that question comes up next week, I'll do my best to
32 comment to it, but does anybody have any questions on this
33 presentation? All right. Going once, going twice, done. All
34 right. With that, we move into our final agenda item, and that's
35 going to be on gag. Ryan, do you mind walking us through it?

36
37 **GULF GAG GROUPER INTERIM ANALYSES AND HEALTH CHECK**

38
39 **MR. RINDONE:** Not at all, and Dr. Lisa Alllioud is on the line to
40 present the interim for gag, and this one also uses G-FISHER. It's
41 the index of the hour, and the last stock assessment conducted for
42 gag separately considered the three video surveys which combine to
43 make the G-FISHER index, and that stock assessment report, and the
44 SSC's review, are included in your background info.

45
46 Because the rebuilding plan for gag started just recently, which
47 is Amendment 56, and because the catchments for gag are projected
48 to increase annually, and so we have increasing yield stream there.

1
2 This interim analysis is provided as a health check only, and I'll
3 let the Science center speak more to the rules, if you will, for
4 the conduction of interim analysis, and then why that decision was
5 made, but, generally, you guys should consider the information
6 presented, ask questions of the staff, and make recommendations,
7 as appropriate.

8
9 **CHAIRMAN MONCRIEF:** All right. Sounds good. Go ahead and take it
10 away, Dr. Ailloud.

11
12 **DR. LISA AILLOUD:** Hi. Can everyone hear me?

13
14 **CHAIRMAN MONCRIEF:** We got you.

15
16 **DR. AILLOUD:** Excellent. Thank you, and so hi, everybody. Today
17 I'll be presenting the Gulf gag grouper interim analysis, or health
18 check, and so the last assessment for gag grouper was in 2021/2022.
19 The terminal year of the assessment was 2019, and, as Ryan
20 mentioned, since gag grouper is in a rebuilding plan, this interim
21 analysis serves as a simple health check on the condition of the
22 stock, rather than a recommendation for catch adjustment.

23
24 The reason is, if you think about our approach for adjusting catch
25 advice, it really was built for stocks that are in a healthy spot
26 at the end of the previous assessment, the idea being that, if
27 you're at a healthy level at the end of an assessment, and then
28 you look at an index update later in time, you should be able to
29 relate the change in the index to the change in the stock size in
30 a pretty straightforward way.

31
32 If you think about your -- If you have an increasing index, it
33 gives you a good idea that the stock is growing, and perhaps you
34 are able to increase your ACL. A stable index would indicate that
35 you're fully utilizing the resource, and you can continue to do so
36 for a number of years, but a declining index would, you know,
37 suggest that perhaps the catch advice was set a bit too high, and
38 the stock size cannot take that much catch anymore.

39
40 Now, if you think about this in the context of a stock that is not
41 in a healthy place at the end of an assessment, like gag grouper,
42 and that's undergoing a rebuilding plan, the idea of the rebuilding
43 plan is to slowly increase the ACL from year to year as the stock
44 is allowed, you know, some space to grow back to a level where it
45 consists of high catches.

46
47 You cannot look at the index and simply translate, you know, an
48 increasing index with the idea that you can increase catches,

1 because, you know, your objective here is to rebuild the stock to
2 a different place than it was when you last assessed it.

3
4 That being the case, since it's not a straightforward translation,
5 a one-to-one translation like it would be in a stock that is not
6 undergoing a real rebuilding plan, we recommend doing a health
7 check.

8
9 It is also very difficult to completely understand whether or not
10 the stock is on track with the rebuilding plan just by looking at
11 the index, because there's other variables that need to be looked
12 at. For example, you know, what were catches in recent years?
13 Was the ACL followed, or was it exceeded, which I'll show you in
14 the next slide what that looked like in recent years for gag
15 grouper, and so we would feel more confident in giving you a more
16 complete picture of what is going on during the next assessment
17 for gag, and thankfully that's happening this year.

18
19 I think, if we can wait a few more months and see, we'll have a
20 lot more information to look at to get a more complete picture of
21 whether or not gag seems to be tracking on that rebuilding plan.

22
23 These are the trends in commercial, on the left-hand side, and
24 recreational, on the right-hand side, catches, and so the solid
25 black line is the quota, or the ACT, for the recreational sector.
26 The dashed line is the landings.

27
28 In the case of recreational landings, we did have the landings
29 exceed the ACL in two different years, and so the ACT was adjusted
30 downwards, and that's the red line that you see there. I don't
31 have data for 2025.

32
33 I actually checked just a couple of days ago, and the Wave 5 data
34 are not in, and so we don't really know where we stand with the
35 rec data this year, but I did provide all other years, so you can
36 see, you know, what has happened since 2019, which was the terminal
37 year of the last assessment.

38
39 In terms of the commercial landings, the quota was exceeded in
40 2023, but it stayed below the ACL, and so the fishery was closed
41 early, but the landings were near the quota in 2024 and 2025,
42 around 90 or 95 percent. The rec ACL, like I mentioned, did exceed
43 -- It was exceeded in 2023 and 2024, by a large margin, and so the
44 ACT was adjusted downward in years that followed.

45
46 This health check is based on the combined video index, and, if
47 you recall, at the SEDAR 72 assessment, that index at the time was
48 looked at, but there were concerns that, particularly for gag,

1 because gag grouper had such a strong ontogenetic migration to
2 deeper reefs as they grow older, there was a concern that there
3 was a shift in selectivity of the survey when you combined
4 everything from 1993 to 2019, even when you start doing some
5 habitat-weighted approach.

6
7 At the time for SEDAR 72, we kept the -- We essentially didn't
8 change what was done in the past. We just kept the SEAMAP and the
9 Panama City video surveys as separate indices in the assessment,
10 and we did not include FWRI, which, at the time, the only data
11 available were up to -- The assessment was up to 2019, and so it
12 was not a lot of data, and it was quite flat, but, since then, the
13 team has re-evaluated the data.

14
15 There's a lot more years now where we have overlap between the
16 three surveys, and so that team recommends going forward with
17 looking at the combined index to get a more complete picture of
18 the stock's trajectory in recent years, but they do recommend that
19 it be truncated starting in 2010 to alleviate concerns over
20 shifting selectivity through time and, you know, stark differences
21 in proportion present between say the Panama City index and the
22 other two surveys during the early 2000s, which were due to some
23 of the stronger year classes showing up in the Panama City survey,
24 but not quite yet on the offshore reefs.

25
26 On the right-hand side is the data that are -- The red box shows
27 all the data that are used for constructing that index, and the
28 numbers in color are the proportion positives across the surveys,
29 and then, on the bottom there, you see the overlap of the size
30 frequency between the surveys, with SEAMAP having slightly larger
31 fish, but a better overlap with FWRI and the Panama City survey,
32 compared with back in time.

33
34 Here is -- Sorry, and this is an older version of the presentation,
35 and so the only change here is the confidence interval should be
36 a little bit wider on that index on the top right-hand side, but
37 everything else is correct, and so, here, this is to show the
38 combined video index survey index trend, on the right-hand side,
39 against the nominal. You can see that there's a decline from 2010
40 to about 2015, and then it's quite stable since 2015.

41
42 The bottom left-hand side shows you the spatial footprint from
43 2010 to 2019 and 2020 to 2024, and so the two bottom panels would
44 be what is represented in this index, and then the density plots,
45 I guess, of the length frequency shows you how the lengths -- These
46 are weighted length frequencies, by the way, weighted by the
47 habitat, in the same way the index is weighted, and so that is
48 what the index is tracking.

1
2 You can see there are some differences through time, maybe a few
3 year classes that seem to pop up, but then don't quite show up
4 later in time. Again, you know, if you look on the right-hand
5 side, those numbers -- They're a little bit small, but it shows
6 you the number of fish that were measured, and then, in
7 parentheses, the number of sites. Did I get this backwards? It
8 might be the opposite. Sorry. The number of sites would be the
9 first number and in parentheses is the number of fish that were
10 measured.

11
12 You know, relatively small sample sizes, and gag is not a fish
13 that has high proportion positive for these surveys, but it should
14 give us a fairly good idea of the range of sizes that are being
15 covered by this survey.

16
17 On the left-hand side, you can see the comparison between the two
18 surveys that were used in SEDAR 72. In yellow is the SEAMAP
19 survey, and in red is the Panama City survey, and then overlaid on
20 top in blue is this combined index, and then you can see we have
21 additional years beyond 2019, up to 2024.

22
23 In general, the trends between the separate indices of Panama City
24 and SEAMAP and the combined index are relatively similar. There's
25 a bit of a flatter trend in Panama City, with a little more of an
26 uptick, and then a bit steeper of a decline in the SEAMAP survey,
27 but, you know, nothing drastically different, and then, in recent
28 years, it's quite flat, and so there was an uptick from 2018 to
29 2019, which we saw at the end of our last assessment. That seems
30 to have taken a drop in 2020, but after that, it's quite stable.

31
32 On the right-hand side -- Even though this is a health check, I
33 went ahead and just applied a similar approach that we would in an
34 interim analysis, just to give us some sense of, you know,
35 percentage change in the index through time, compared to a
36 reference period, which is three or five years surrounding that
37 terminal year of your assessment, and you can see the three-year
38 reference period, in the red on the top, and then the blue is a
39 five-year reference period. You can see that, in recent years,
40 there's a slight decrease in that index, but it's quite minor. I
41 think it's less than 10 percent.

42
43 The conclusion from this health check is that the combined video
44 index has remained largely stable in recent years, showing a slight
45 decline in relative abundance since the previous assessment was
46 completed.

47
48 Like we mentioned, we can't really offer reassurance, just looking

1 at the index in isolation, that we are adhering to the rebuilding
2 plan, especially given some of the overages in the fishery. It is
3 difficult to assess what the impact was on the population, because,
4 you know, having an overage in one year really has a compounded
5 effect through time.

6
7 With a rebuilding plan and ACLs that are increasing quite a bit
8 from year to year, to track a theoretical rebuilding of the stock
9 -- If that's not being followed in reality, it's difficult to say
10 if we are being successful or not.

11
12 We're excited that a new assessment is underway for gag. We'll
13 have a more complete picture of what is going on with the stock.
14 We'll have some trends in discarding. We'll have some information
15 from the age composition, to see what happened to the stock when
16 there were overages, which size classes or age classes were
17 affected, and were they able to still make it through, and survive
18 through time, and, you know, better understand why this index is
19 flat, really. A lot to think about, but I hope this was helpful.
20 I believe that is the last slide, and so, with that, I'll take any
21 questions.

22
23 **CHAIRMAN MONCRIEF:** All right. Thank you. I've got a couple,
24 just to start out with. I see Jim's hand there. I appreciate the
25 presentation. I was kind of hoping -- If we could go up to the
26 recent landings slide, real quick.

27
28 All right, and I'm going to need a little bit of help here from
29 Ryan as well, and so I'm trying to think. You know, I definitely
30 see the overages there. We've seen some patterns in the past,
31 when it comes to kind of a negative feedback loop, when we start
32 to constrain seasons.

33
34 I was wondering, when I looked at the landings, and it looks like
35 they decreased by a third, or maybe a little more than that, but
36 I'm trying to think through the management side, because it seemed
37 like this fishery really got ratcheted down when it came to the
38 imposed management of it. Do you mind helping me out with that,
39 Ryan? How many days was this one actually --

40
41 **MR. RINDONE:** Yes, and the fishery got aggressively ratcheted down
42 on, as far as the catch limits are concerned, for both the
43 commercial and the recreational sector. The recreational fishing
44 season was reduced to a couple of weeks, starting out, and it's
45 had a couple of years' worth of overages, and we're still waiting
46 on the finalized landings data, to see where gag stand for how
47 they did in -- How the recreational fishery did in 2025. If there
48 was not an overage, then the 2026 ACT I think is 399,000 pounds.

1
2 The commercial sector though is under an IFQ program, and so we've
3 seen the share price for leasing gag go up considerably, and the
4 availability of gag to lease go down quite a bit, since the folks
5 that are catching it -- You know, they're catching everything that
6 they have, and there's not often much left to lease to anyone else.
7

8 **CHAIRMAN MONCRIEF:** Right. Right. Yes, we certainly see that,
9 and the main premise of that question is it seems like, even with
10 the large-scale decrease in the season length, it seems like the
11 landings are still there, and so I think a consideration in the
12 future, as we go through this is, is there that small sample size
13 negative feedback loop that kind of happens as seasons are
14 constrained, and how those landings respond, because it seems like,
15 yes, the landings decreased by, you know, 25 to -- You know,
16 landings decreased to a third of what they once were, or maybe a
17 fourth of what they once were, but the season certainly got
18 constrained a lot more than that, which points to maybe some derby
19 fishing, or increased pressure, which is usually pretty easy to
20 pick up, at least when it comes down to observing the fishery, but
21 I'll digress off of that point for now, and we'll move into it.
22

23 **MR. RINDONE:** Yes, for sure, and, I mean, it's definitely an issue,
24 and we've had issues with it in past. I think in 2023 -- John,
25 was it 2023 or 2024 when there was like one sample from the Sunshine
26 Skyway Bridge that translated into, at one point, like 110,000
27 pounds of gag being estimated from shore, and the council balked
28 at the idea of relying on a sample size of one to extrapolate out
29 the landings for that mode that way, and there were some
30 corrections that were applied after the fact to we'll say smooth
31 that out.
32

33 **CHAIRMAN MONCRIEF:** All right. Gotcha. All right. Jim, go ahead.
34

35 **DR. NANCE:** Thank you, Mr. Chair. Lisa, thanks for that
36 presentation. A quick question. Is the combined video survey the
37 same as G-FISHER?
38

39 **DR. AILLOUD:** Yes, and so it's called G-FISHER only in recent years
40 when --
41

42 **DR. NANCE:** Okay.
43

44 **DR. AILLOUD:** You know, yes, but correct. It's G-FISHER, and it's
45 the same analysis that is used -- It's the CART habitat-based
46 weighing analysis that's, you know, for standardizing the index,
47 which takes into account the habitat type, and quality, and kind
48 of re-levels all the surveys to be on the same level, based on how

1 much high quality, low quality, medium quality habitat is covered
2 by those surveys and what the total survey area is.

3
4 **DR. NANCE:** Okay.

5
6 **DR. AILLOUD:** So it tries to level everything on the same scale.

7
8 **DR. NANCE:** So it's really the same now. I know before we called
9 it that, but so, for consistency, I guess we should call it G-
10 FISHER, and is that -- Would that be right?

11
12 **DR. AILLOUD:** Probably. Yes, and that might be my error, because
13 we called it combined index at the last assessment, but, yes, I
14 think G-FISHER index is probably more appropriate.

15
16 **DR. NANCE:** Thank you.

17
18 **MR. RINDONE:** I'm calling it G-FISHER in the summary, and so --

19
20 **DR. NANCE:** Thanks, Ryan.

21
22 **CHAIRMAN MONCRIEF:** Good catch there. Thanks for that, Jim. Mike,
23 I was going to point you at the end of this anyways, but go ahead.

24
25 **DR. ALLEN:** Thank you, Mr. Chair, and thank you, Lisa, for the
26 presentation. You know, I'm looking at this relative to what I've
27 been hearing from the fishery, and it seemed like, last year, from
28 both spear fishermen and hook-and-line recreational anglers, I was
29 hearing of lots of female fish that hadn't transitioned yet, and
30 lots of fish that are, you know, under and just over legal size on
31 shallow inshore reefs.

32
33 I'm trying to balance that with, you know, seeing a flat trajectory
34 in the G-FISHER, and I'm just wondering about the thought that
35 maybe the G-FISHER index is not going to do a good job of catching
36 the increased abundance of those smaller fish inshore.

37
38 When I say inshore, I'm thinking like sixty feet and less, and I
39 just wondered if you any thoughts about that, about whether maybe
40 this index is not going to do a good job of catching those
41 relatively new recruits inshore.

42
43 **DR. AILLOUD:** Yes, and so that's a good point. It's more so that
44 there's going to be a delayed response, right, because the -- For
45 example, the Panama City videos are more inshore. You're seeing
46 a few -- A little bit more of the early recruits, but, really,
47 they don't hit the other offshore reefs until a few years later,
48 and so it could be just there's a delayed response, right, and so

1 maybe there have been some successful recruitments, but we're not
2 seeing the full extent of it in the index, and maybe we'll see it
3 in the next couple of years.

4
5 It's also possible that they were impacted by the fishery, and so
6 some of those big year classes were very successful of, you know,
7 creating those high yields we're seeing, but perhaps were not left
8 to survive and grow to the bigger sizes to be seen in the survey.

9
10 I can't really say, without having seen all the other pieces of
11 the picture, and I think looking at say the age composition, during
12 the assessment phase, will be really helpful to see what's
13 happening to these cohorts through time, but, yes, it's a
14 combination of delayed response and what is the fate of these fish
15 that we're seeing inshore.

16
17 **DR. ALLEN:** Thank you for that, Lisa, and so it's going to be
18 really interesting to see how this assessment comes out, and I
19 agree that adding the age data, and the other data that are going
20 to come into that assessment, are also going to be insightful.

21
22 **CHAIRMAN MONCRIEF:** All right. Thank you, Mike. I would agree
23 there. I had a question about the whole cryptic side of that
24 species too, whether that, you know, potentially impacts
25 representativeness, but I will wait on that one. Andrew, go ahead.

26
27 **DR. ROPICKI:** Yes, and I don't really have a question. I just
28 wanted to throw out there kind of what Ryan was talking about,
29 the, you know, allocation price, or the quota lease price. You
30 know, historically, red snapper was the most expensive in the IFQ
31 fishery, but that's not the case anymore.

32
33 I mean, you can look at the numbers that NOAA Fisheries puts out,
34 and they put out a quarterly average. I do a survey. In both of
35 them now, you're looking at gag being about seventy-cents a pound
36 more, and I can tell you, on my surveys, I have a comment section
37 for the commercial fishermen, and I get a lot of comments saying,
38 you know, we have to try and avoid gag grouper. There's not enough
39 quota for what we can catch, and so I just wanted to provide that
40 information, and let everyone know that. Thank you.

41
42 **CHAIRMAN MONCRIEF:** Appreciate that, Andrew. It's always good to
43 see the whole supply and demand thing show up, be proven once
44 again. All right. Harry, go ahead.

45
46 **MR. BLANCHET:** Could you go two pages forward, to page 5? This is
47 to Mike Allen's comment, and something that I had earlier. If you
48 squint really hard at that length frequency for 2024, you do see

1 what seems to be a bunch of small fish is what makes that index in
2 2024, and I'm not seeing very much at all in the upper ranges of
3 that, but only -- Now all the caveats. This is fifty-six fish,
4 one index, one year.

5
6 We don't -- If you look back over time, that index is noisy, in
7 terms of the length frequencies. The one note I would make is
8 that, unless those colors have some meaning, other than being light
9 to dark, maybe make them all one color, so they're equally visible,
10 just for the next iteration.

11
12 **DR. AILLOUD:** Yes.

13
14 **MR. BLANCHET:** If you do something like this again. The other
15 part that I had a question on -- This is all based on basically
16 Florida. Gag is a Gulf-wide stock. Was there any looking at any
17 of the information from the western Gulf?

18
19 **DR. AILLOUD:** So, yes, this index is restricted to the eastern
20 Gulf. 98, I think, percent of landings are Florida-based, and so
21 that's why we only focus on the east, and even in -- Even in the
22 east, those proportion positives are, you know, quite low for that
23 survey, and so it probably would be really low in the west, I would
24 assume, but, yes, the assessment is really built around Florida,
25 because we think that's where most of the dynamics are happening.

26
27 **MR. BLANCHET:** Well, it's a Gulf-wide stock, and they are pretty
28 widely distributed on the outer shelf in the western Gulf. I'll
29 leave it at that.

30
31 **CHAIRMAN MONCRIEF:** I'll concur with that one, Harry. We certainly
32 have them here. Unfortunately, we usually see one a year on our
33 surveys, if that, and so certainly they're not always seen.
34 Anybody else have any questions? I'm going to kick it over to
35 Mike, real quick, and we've got other council members, I think, in
36 the audience, but is there anything on the council side -- Given
37 the species, you know, regulatory history, it's kind of -- The
38 amount of questions it's got and everything else, is there anything
39 you feel like we haven't touched on in this discussion that we
40 might need to go through, or do you think we've hit it pretty well?

41
42 **DR. ALLEN:** I mean, I think we've hit it pretty well with the
43 information we have available to us. I think we're all waiting to
44 see the finalized landings from last year, and, of course, the
45 assessment coming up, but, at this stage, it's good to see this G-
46 FISHER index, and think about what that means, but we're going to
47 be waiting on this other information, it seems to me.

48

1 **CHAIRMAN MONCRIEF:** All right. Thank you for that, and I'll end
2 it by saying stability isn't always a bad thing. At least it's
3 stable. I think that wraps up what we need. We didn't have a
4 motion for this one. We can move on into the public comment
5 portion, I believe, is what we have next. Harry, go ahead.

6
7 **MR. BLANCHET:** Mr. Chairman, I did have one more comment in
8 general. All three of these reviews were on the G-FISHER index.
9 G-FISHER has had some review in its development. I have seen one
10 published paper, from Thompson 2022, this reference right here,
11 and there's a SEDAR working paper that I've seen.

12
13 However, I don't know that we, as an SSC, have ever been provided
14 a more extensive evaluation looking into the nuts and bolts than
15 those two papers. Is that something that we should have for a
16 future meeting, if we're going to be using this as an index of
17 abundance? I think we need to be sure we know what we're talking
18 about.

19
20 You know, my reading of those papers, I was a little concerned
21 about how some of the -- In terms of putting things into bins, how
22 some of that binning varied from index to index, or from survey to
23 survey, within the overall index, and they could probably be very
24 easily allayed by someone who actually knew what they were talking
25 about, instead of me trying to read it in a vacuum, but I don't
26 know if anybody else feels the same way, and whether it's worth
27 the committee's time to do that. Thank you.

28
29 **CHAIRMAN MONCRIEF:** I certainly don't see any negatives on it,
30 but, Luiz, you got a response to that? Go ahead.

31
32 **DR. BARBIERI:** Well, yes, and, I mean, I think that Harry brings
33 up a good point, and, if Ted Switzer is still on, he can probably
34 expand on this. You know, there has been a formal review, and
35 correct me if I'm wrong, Ted.

36
37 I think that this was either CIE, or a panel of other independent
38 experts, that were involved in that review, and this had to do
39 with the NOAA RESTORE Science Program, but there were all sorts of
40 issues discussed, Harry, that I agree with you.

41
42 Perhaps a presentation to that effect, involving Ted, and perhaps
43 Heather and other folks that Ted may pick to come and give
44 presentations to the SSC, might be helpful to understand all the
45 different bells and whistles, all the different limitations and
46 characteristics of the survey.

47
48 **MR. BLANCHET** Thank you, Luiz. I agree, and I think that, just

1 seeing that CIE review, whatever their output, might answer a lot
2 of my questions. Thank you.

3
4 **CHAIRMAN MONCRIEF:** Let's start with that, I think. If somebody
5 has that there, feel free to send it to Meetings, and they can
6 send it out to everybody and go with that CIE. I don't dislike
7 the thought of, as this thing continues to be used, and as we
8 continue to go down that road, kind of having that knowledge, just
9 like an informational presentation about it, just so there's a
10 little bit more detail there.

11
12 Let's start with that CIE review, and then go from there, and Ryan
13 will look through the schedule and see kind of where we are with
14 all that. Ted, I see your hands raised. Go ahead.

15
16 **DR. SWITZER:** Thanks. Just to clarify, it was not a formal CIE
17 review. There's been two kind of processes. One, our G-FISHER
18 program had a peer review, that Luiz alluded to. We also had a
19 SEDAR best practices workshop, that took place a number of years
20 ago, where we had all the regional index survey experts as a panel
21 to discuss this, and other approaches.

22
23 Unfortunately, we've never finalized the report for that. I've
24 been working with Kevin Thompson. He took a position with NOAA,
25 and, again, didn't have the bandwidth to wrap that up, and so there
26 are a couple of different sources there that we could talk about.

27
28 We've also talked about, at some point, having a mini-symposium
29 for the SSC, because we have a couple of other things coming out
30 of the pipeline, in terms of the survey, that we need your input
31 on. Maybe that's something we do as a longer session later this
32 year, or early next.

33
34 **CHAIRMAN MONCRIEF:** Thank you, Ted. I'll lean on Ryan for all
35 that. I'm sure we'll be in discussion on that as time progresses
36 on. Does anybody have any other comments, questions, suggestions
37 on that or this presentation?

38
39 All right. Seeing no hands, our Item Number 7 is Public Comment.
40 Do we have anybody from the public who wishes to comment? If they
41 do, the directions are right there, and I'll let staff handle that
42 side of it. All right. Have we got anybody so far, or we clear
43 on public comment?

44
45 **MS. MATOS:** No, we don't have any hands.

46
47 **CHAIRMAN MONCRIEF:** All right. Well, that brings us down to Other
48 Business. I know no one pre-declared it when we were going through

1 the agenda, but now would be the time. Does anybody have any other
2 business to bring up? Going once, going twice.

3
4 That looks like no other business, and so it looks like we have
5 some time to adjourn. I think we caught up on our time pretty
6 well. I appreciate the conversation around a lot of these. I
7 think it's going to help a lot for next week, when we go through
8 this stuff, and so I appreciate everybody's time. Ryan, do I need
9 a motion to end the meeting, or are we just rolling out?

10
11 **MR. RINDONE:** No. Chair's privilege.

12
13 **CHAIRMAN MONCRIEF:** All right. I will take my privilege. This
14 meeting has now concluded. See you all very soon in-person. All
15 right. Thank you, everybody.

16
17 (Whereupon, the meeting adjourned on January 22, 2026.)

18
19 - - -