

1 GULF OF MEXICO FISHERY MANAGEMENT COUNCIL

2  
3 MEETING OF THE STANDING SCIENTIFIC AND STATISTICAL COMMITTEE

4  
5 May 5, 2026

6  
7 **STANDING SSC VOTING MEMBERS**

- 8 Trevor Moncrief.....
- 9 Luiz Barbieri.....
- 10 Harry Blanchet.....
- 11 David Griffith.....
- 12 Tiffany Hopper.....
- 13 Jack Isaacs.....
- 14 John Mareska.....
- 15 Paul Mickle.....
- 16 Jim Nance.....
- 17 Daniel Petrolia.....
- 18 Steven Scyphers.....
- 19 Ralph Townsend.....

20  
21 **STAFF**

- 22 Matt Freeman.....Economist Analyst
- 23 John Froeschke.....Deputy Director
- 24 Sarah Gardiner.....Fishery Biologist
- 25 Lisa Hollensead.....Fishery Biologist
- 26 Jessica Matos.....Administrative Document Editor & IT Coordinator
- 27 Emily Muehlstein.....Public Information Officer
- 28 Ryan Rindone.....Lead Fishery Biologist & SEDAR Liaison
- 29 Carrie Simmons.....Executive Director
- 30 Verena Wang.....Ecosystem Analyst

31  
32 **OTHER PARTICIPANTS**

- 33 Matt Campbell.....
- 34 Kate Overly.....
- 35 Katie Siegfried.....SEFSC
- 36 C.J. Sweetman.....GMFMC
- 37 Dr. Ted Switzer.....FWC

38  
39 - - -

TABLE OF CONTENTS

1  
2  
3 Table of Contents.....2  
4  
5 Introductions and Adoption of Agenda.....3  
6  
7 Review and Approval of Minutes and Summary from the February 2026  
8 SSC Meeting.....3  
9  
10 Scope of Work.....3  
11  
12 Presentation: Gulf Fishery-Independent Survey of Habitat and  
13 Ecosystem Resources (G-FISHER).....5  
14  
15 Other Business.....51  
16     SEDAR 100 Review Workshop Appointments.....51  
17  
18 Adjournment.....54  
19  
20                   - - -  
21

1 The Meeting of the Gulf of Mexico Fishery Management Council  
2 Standing Scientific and Statistical Committee convened via  
3 webinar on Tuesday, May 5, 2026, and was called to order by Mr.  
4 Trevor Moncrief.

5  
6 **INTRODUCTIONS**  
7 **ADOPTION OF AGENDA**

8 **REVIEW AND APPROVAL OF MINUTES AND SUMMARY FROM THE FEBRUARY**  
9 **2026 SSC MEETING**  
10 **SCOPE OF WORK**  
11

12 **MR. TREVOR MONCRIEF:** All right. We're good to go. All right.  
13 Cinco de Mayo. It's going to be a good day. Today is G-FISHER  
14 Awareness Day, otherwise known to Ted as just another Tuesday.  
15 I'll start here with a statement, and then we'll go through the  
16 attendance.

17  
18 Good morning. My name is Trevor Moncrief, and I am the chair of  
19 the Scientific and Statistical Committee of the Gulf Council. We  
20 appreciate everyone's attendance and input in this meeting.  
21 Representing the Gulf Council is maybe Mike Allen, and maybe C.J.  
22 now. Gulf Council staff in attendance includes Carrie Simmons,  
23 John Froeschke, Ryan Rindone, Lisa Hollensead, Matt Freeman,  
24 Verena Wang, Sarah Gardiner, Emily Muehlstein, and Jessica Matos.

25  
26 Notice of this meeting was provided to the Federal Register, sent  
27 via email to subscribers of the Gulf Council's press release email  
28 list, and was posted on the council's website. Topics to be  
29 covered during this modified meeting include a presentation on the  
30 Gulf Fishery Independent Survey of Habitat and Ecosystem  
31 Resources, G-FISHER. We'll have public comment, then we'll have  
32 Other Business.

33  
34 This webinar is open to the public and is being streamed live and  
35 recorded. A summary of the meeting and verbatim minutes will be  
36 produced and made available to the public via our website. For  
37 the purpose of voice identification, and to ensure you are able to  
38 mute and unmute your line, please identify yourselves by stating  
39 your full name when Jess calls your name for attendance. Once you  
40 have identified yourself, please re-mute your line. We will be  
41 using the raise-hand function to help me recognize you to speak.  
42 Jess will type the names up on the memo pad on the screen. Your  
43 show, Jess.

44  
45 **MS. JESSICA MATOS:** Okay. Jason Adriance. Luiz Barbieri.

46  
47 **DR. LUIZ BARBIERI:** Luiz Barbieri.  
48

1 **MS. MATOS:** Harry Blanchet.  
2  
3 **MR. HARRY BLANCHET:** Harry Blanchet. David Chagaris. Not here.  
4 David Griffith.  
5  
6 **DR. DAVID GRIFFITH:** David Griffith.  
7  
8 **MS. MATOS:** Tiffany Hopper.  
9  
10 **DR. TIFFANY HOPPER:** Tiffany Hopper.  
11  
12 **MS. MATOS:** Jack Isaacs.  
13  
14 **DR. JACK ISAACS:** I'm here.  
15  
16 **MS. MATOS:** John Mareska.  
17  
18 **MR. JOHN MARESKA:** John Maresca.  
19  
20 **MS. MATOS:** Paul Mickle.  
21  
22 **DR. PAUL MICKLE:** Paul Mickle.  
23  
24 **MS. MATOS:** Trevor Moncrief.  
25  
26 **CHAIRMAN MONCRIEF:** Trevor Moncrief.  
27  
28 **MS. MATOS:** Jim Nance.  
29  
30 **DR. JIM NANCE:** Jim Nance.  
31  
32 **MS. MATOS:** Dan Petrolia.  
33  
34 **DR. DAN PETROLIA:** Dan Petrolia.  
35  
36 **MS. MATOS:** Sean Powers. Andrew Ropicki. Steve Saul. Steven  
37 Scyphers.  
38  
39 **DR. STEVEN SCYPHERS:** Steven Scyphers.  
40  
41 **MS. MATOS:** Ralph Townsend.  
42  
43 **DR. RALPH TOWNSEND:** Ralph Townsend.  
44  
45 **MS. MATOS:** C.J. Sweetman.  
46  
47 **DR. C.J. SWEETMAN:** C.J. Sweetman.  
48

1 **MS. MATOS:** Thank you.

2  
3 **CHAIRMAN MONCRIEF:** All right. We've got the attendance done.  
4 We'll go to the agenda. First up, we have Adoption of the Agenda.  
5 Does anyone have any items they want to add or retract, given we  
6 only have one today, and, if not, I believe we need a motion to go  
7 ahead and move that one forward.

8  
9 **DR. NANCE:** I move we adopt the agenda.

10  
11 **CHAIRMAN MONCRIEF:** All right. Jim, motion.

12  
13 **DR. GRIFFITH:** Second.

14  
15 **CHAIRMAN MONCRIEF:** There we go. It sounded like Mr. Griffith.  
16 Item Number 2 is Review and Approval of the Minutes and Summary  
17 from the February 2026 SSC Meeting. Does anyone have any changes  
18 or see anything in the minutes they want adjusted? If not, we'll  
19 need a motion to move those forward.

20  
21 **DR. NANCE:** I move we adopt the minutes.

22  
23 **CHAIRMAN MONCRIEF:** Jim. I need a second.

24  
25 **DR. HOPPER:** Second.

26  
27 **CHAIRMAN MONCRIEF:** There we go. All right. I guess, first off,  
28 you saw Ryan's email, and certainly our thoughts are with the folks  
29 with the fire, and we're glad there wasn't any injuries. It's  
30 certainly never a good thing, but thanks for letting us know about  
31 that, Ryan, and now it's on to you for the scope of work.

32  
33 **PRESENTATION: GULF FISHERY-INDEPENDENT SURVEY OF HABITAT AND**  
34 **ECOSYSTEM RESOURCES (G-FISHER)**  
35

36 **MR. RYAN RINDONE:** All right. Thank you, sir, and so Dr. Ted  
37 Switzer, from Florida Fish and Wildlife Research Institute, and  
38 his crew are with us today to review G-FISHER, which is the Gulf  
39 Fishery Independent Survey of Habitat and Ecosystem Resources, and  
40 this is a composite video survey that blends the efforts of several  
41 regional video surveys in the Gulf to form a more comprehensive  
42 view of relative abundance by species.

43  
44 Dr. Switzer and his team are going to review the development  
45 process for G-FISHER, how its data products are created and applied  
46 for stock assessment and management purposes, and we'll also talk  
47 about how the program adapts to survey limitations and emerging  
48 needs. You guys should review the information presented, ask

1 questions, and provide feedback to Ted and his team and the  
2 council, as appropriate.

3

4 **CHAIRMAN MONCRIEF:** Take it away, Ted.

5

6 **DR. TED SWITZER:** Thanks, Mr. Chairman. I will need sharing  
7 access. There we go. Can you confirm you can see the first slide?

8

9 **MS. MATOS:** Yes.

10

11 **DR. SWITZER:** All right. Thanks. Thanks, everybody. Good  
12 morning. I appreciate the opportunity to talk about G-FISHER and  
13 what we've been up to the last decade or so. I know this is  
14 becoming more commonly used for a lot of needs, in terms of  
15 assessment and interim analysis, and so it's good to talk through  
16 where we've come from and where we're going.

17

18 This is not the entire G-FISHER team, but these are some of the  
19 key players, that are most of which online today to help answer  
20 any questions or contribute to the discussions that will come from  
21 the work that we talk about.

22

23 As Ryan mentioned, I'm going to talk about three main components  
24 today. The first is the development and current status of the G-  
25 FISHER survey, including why we've done what we've done. I'll  
26 briefly touch on the application. Again, I'm not going to get in  
27 the analytical weeds, but give you a sense of what we've done to  
28 integrate data from the historical surveys and the new survey, and  
29 then, finally, touch a little bit on known data gaps, known  
30 limitations, and how we're trying to address those as we move  
31 forward in the next several years.

32

33 Starting with the development of the survey, I think it's important  
34 to remember that these efforts started way back in the late 1980s  
35 as the first fishery-dependent survey to try to capture population  
36 associated with reef habitats in the Gulf. It was initially  
37 developed as a trap survey, as you can see there in the upper  
38 panel. However, due to selectivity, the inability to catch certain  
39 species, Chris Gledhill began implementing cameras, basically to  
40 get a sense of fish behavior in and around the trap. We came to  
41 realize that that provides useful data, and so, in the early 1990s,  
42 this transitioned to primarily a video-based survey.

43

44 The maps in the lower part show the initial sampling frame for the  
45 early Pascagoula SEAMAP Survey. At the time, there was almost no  
46 mapping data available, and so these sampling blocks were  
47 determined based on available bathymetry data, and so they focused  
48 predominantly on some of the highest relief, well-known features,

1 that we see in the Gulf. Most of these are focused along the shelf  
2 break from Texas all the way to the Florida Keys.

3  
4 After about a decade of work with a sampling frame, these data  
5 were submitted and accepted for use in SEDAR 7 for red snapper.  
6 At the time, there was recognized utility of the data provided by  
7 the survey, but an independent review by the Southeast Fisheries  
8 Science Center noted that this survey could be improved upon by  
9 increasing the sampling frame, particularly on the Florida shelf,  
10 which would require more detailed mapping data because, on those  
11 shelf habitats, we didn't really have a good sense of that, and so  
12 this led to future efforts by both NOAA and FWRI to address these  
13 known data gaps.

14  
15 In terms of the initial evolution of the survey, again here's the  
16 sampling frame of that initial SEAMAP video survey from the early  
17 1990s. With some supplemental funding in 2006, the NMFS Panama  
18 City Lab was able to expand on the inner shelf in the northeast  
19 Gulf of Mexico, and, subsequently, that was expanded by FWRI  
20 throughout the West Florida Shelf and off of Tampa Bay and  
21 Charlotte Harbor.

22  
23 With some NFWF Gulf Environmental Benefit Fund funding, FWRI was  
24 able to expand their survey and cover the entire eastern Gulf  
25 beginning in 2014. It's important to remember that, while these  
26 surveys had some differences in terms of design, available habitat  
27 information, et cetera, all three groups worked collaboratively  
28 throughout this process to ensure that we were using identical  
29 technology, and, as we evolved the technology over time, we were  
30 consistent in that approach, in terms of maintaining field of views  
31 and resolutions, et cetera, for the video system that we talk  
32 about.

33  
34 Now, two main components to this survey. One is the habitat  
35 mapping component, again to build the underlying sampling frame.  
36 In the eastern Gulf, this has been predominantly conducted via  
37 side scan sonar, the Kline 3900 you see there that contains -- It  
38 maps at about 445 kilohertz resolution.

39  
40 From the outset, we've implemented standardized and random mapping  
41 surveys. In the inset, you see the long transects are those that  
42 would have been conducted on natural reef habitats, because that  
43 is essentially a prospecting type of survey. The squares were  
44 designed to center around artificial habitats, to begin to provide  
45 more detailed estimates of habitat coverage of those sites, as  
46 well as what habitats might be surrounding that, and so these have  
47 been predominantly new randomized surveys.

1 We have been, over the last several years, conducting a subset of  
2 rescans, or remapping surveys, annually to get a sense of the  
3 temporal stability of the habitats we identify. These initially  
4 were focused on areas that were impacted by hurricanes, that we  
5 would expect maybe a greater degree of change, but we've  
6 implemented those eastern Gulf-wide in the last couple of years.

7  
8 Here's an example of what one of those mapping surveys looks like  
9 in the upper image. That would be a geoTIFF that was produced by  
10 a survey. With these mapping surveys, we have multiple overlapping  
11 transects that allows us to correct for positional inaccuracy if  
12 the towfish moves, due to currents or whatnot, and so, in this  
13 case, this standard survey, we would have three overlapping passes,  
14 data processed to produce that geoTIFF image, and then, currently,  
15 we manually digitize that to, one, draw polygons around reef  
16 features, and those are the blue and the green polygons that you  
17 see on that image, and then, second, we will classify those habitat  
18 types.

19  
20 In the left, you see the variety of habitat types we feel we can  
21 identify via interpretation of side scan sonar, and so, in the  
22 eastern Gulf, we have geological, biogenic, and anthropogenic  
23 habitats, and a variety of habitat types, or geofoms, within each  
24 of those, and the information provided by this will allow us to  
25 quantify the area and composition of habitats throughout the  
26 eastern Gulf.

27  
28 The lower-right shows essentially what one of those products might  
29 look like, and we actually use these side-scan habitats in our  
30 site selection process, and so, for example, we might select one  
31 of those grids, and those are 0.1 nautical mile on a size of  
32 microgrids. We would select a grid that contains the targeted  
33 habitat of interest, and then we will select, within that polygon,  
34 a random point for actually sampling that habitat site.

35  
36 Here's a few examples of the side-scan habitats on the upper panel  
37 and the video groundtruth imagery on the bottom. This has been an  
38 iterative process, over the last fifteen or so years, to help  
39 refine our ability to identify these habitats. Again, these are  
40 five of the more common natural habitats we see in the eastern  
41 Gulf. Again, we have similar imagery for all the habitat types we  
42 see.

43  
44 Now, in the western Gulf, there's some degree of side scan mapping,  
45 especially on the shallow shelf habitats that we'll talk a little  
46 bit more about later, but, in the deeper environments, the focus  
47 has been predominantly on multibeam sonar, and here's some example  
48 imagery of that.

1  
2 We've developed, more recently, with some new data products that  
3 are produced following a method developed by Alex Ilich at USF,  
4 that processes these multibeam data, derives a variety of terrain  
5 attributes, and we've been exploring the ability to automate  
6 classification following the same type of classification we see  
7 with the side scan in the eastern Gulf. We're still evaluating  
8 exactly how well these match, but, preliminarily, they look to  
9 perform pretty well.

10  
11 Now, the video methods we use are stationary, stereo-baited  
12 underwater video arrays, or S-BRUV. You see some example imagery  
13 here. These are deployed on the bottom for at least thirty or so  
14 minutes to record about thirty minutes of video. These are all  
15 baited systems, baited with a combination of Atlantic mackerel and  
16 squid. Historically, we had independent four orthogonal cameras  
17 you see on the lower image there. More recently, we've integrated  
18 into a full spherical camera system that you see on the right.

19  
20 Now, in terms of video annotation, historically, and the standard  
21 practice moving forward for the most part, is to process one of  
22 those camera images for abundance. The image is randomly selected  
23 among the images that are facing the habitat, and so, again, we'll  
24 choose based on the reef habitat that we're sampling. We process  
25 a total of twenty minutes of continuous video for abundance.

26  
27 Our metric is maxN, or the maximum number of individuals you see  
28 on a single screenshot and so the upper-left is what a historical  
29 video read would look like. The bottom is an example of choosing  
30 one of those frames from the full spherical camera reads.

31  
32 We also, from video, record a variety of habitat metrics, including  
33 type and composition of substrate and attached biota, relief,  
34 habitat complexity, et cetera, that are all potentially  
35 informative covariates for subsequent analysis, and we actually  
36 process habitat from all the cameras and not just a single camera  
37 that we read for fish.

38  
39 Now, there's been some debate in literature regarding the use of  
40 maxN of a single camera. Especially for schooling species, we may  
41 see cases where the counts are biased low, because all the  
42 individuals cannot fit on that single screenshot, and so what we've  
43 done, for a subset of videos over the last five or so years, is  
44 actually process the full spherical camera reads as well. An  
45 example up in the upper-left is I think greater amberjack, where  
46 you see the single camera read on the X-axis and the corresponding  
47 spherical camera read on the Y-axis.

48

1 The objective here is, one, to evaluate what the effects of this  
2 potential bias are, and, two, whether it could be corrected, and  
3 I'm not going to talk in a lot of detail about this today, but,  
4 for the most part, we're seeing, for these species, a linear  
5 calibration between the single and spherical camera, and so, in  
6 terms of relative abundance, it really doesn't matter.

7  
8 All that correction would do would scale up the index, and so the  
9 resultant standardized trend wouldn't really change, but these  
10 types of calibrations may be important for things like these  
11 absolute abundance type studies, where you actually want to get a  
12 sense of what the true abundance is at a site. We typically don't  
13 continue with these reads, because that's much more time intensive.  
14 For most of the managed species, we think we've got a pretty good  
15 calibration coefficient now that we can apply that as needed.

16  
17 I'll remind you that these are actually stereo cameras as well.  
18 Historically, up through about 2008, we relied on lasers to obtain  
19 measurements of fish. The number of measurements we obtained was  
20 pretty small, because fish had to be really in the right position  
21 for that to work, but, since the late 2000s, we've been using  
22 stereo imagery to obtain measurements.

23  
24 Our reliance has been predominantly on using the SeaGIS software,  
25 and the process involves these calibration cubes you see in the  
26 upper imagery. We process all cameras through these calibrations  
27 at the beginning and end of each year, to make sure that we have  
28 appropriate calibration to use for these measurements.

29  
30 The lower panel shows an example of what processing in SeaGIS might  
31 look like, where we have imagery of fish on both the left and the  
32 right side, and we're able to obtain these stereo images. We then  
33 are able to obtain length measurements that you see highlighted in  
34 the yellow box.

35  
36 What's also important is these processes provide estimates of  
37 accuracy of the imagery, and so, for example, it's the RMS, is  
38 typically what we use, and that allows us to filter out  
39 measurements that might be suspect, and it's important to remember  
40 that it's not just the unusually high measurements, again, a six-  
41 meter triggerfish that raises a flag, but even realistic  
42 measurements could be biased if they're especially at high aspect  
43 angles from the camera. All measurements we obtain are fork  
44 length, because, again, we don't have the fish in hand to do actual  
45 total.

46  
47 So, again, as I mentioned, we worked closely through the years to  
48 ensure that, despite some design differences, that our in-situ

1 sampling methods were as consistent as possible. However, and  
2 we'll talk more about analyses here in a little bit, we realized  
3 early on that, ultimately, the best approach would be to integrate  
4 these under a single unified design, and, in 2020, we did that,  
5 through funding from the RESTORE science program, as G-FISHER, and  
6 this involved really two components.

7  
8 One, it involved integrating these historical surveys under a new  
9 design, and, second, it involved a tremendous increase in the  
10 sampling intensity and coverage of habitats throughout the Gulf to  
11 provide a much more robust dataset moving forward.

12  
13 Now, a lot of details can be provided in this paper we published  
14 a few years ago, but, to inform the design, the more detailed  
15 analyses were focused in the eastern Gulf, again largely because  
16 we had five years of intense sampling that was funded by that NFWF  
17 Gulf Environmental Benefit Fund, and so we were able to conduct  
18 assemblage-level analyses, including all species that are part of  
19 the Gulf Council's FMP, to delineate spatial strata and habitat  
20 strata, and this was done through these CART analyses to identify  
21 breaks that contributed to differences in assemblage composition.

22  
23 We used variables or metrics that could be determined a priori,  
24 and so, again, for location, it would be latitude, longitude, and  
25 depth. For habitat, it was things like relative relief in the  
26 area footprint of the side scan polygons. Again, we didn't use in  
27 situ habitat data, because those are things that are difficult to  
28 build into a design, and then we optimized allocation as a function  
29 of both habitat availability for the identified sampling strata,  
30 as well as managed species richness.

31  
32 As a result, we end up having a Gulf-wide spatial stratification,  
33 where the survey domain is broken down into six broad regions and  
34 three depth strata, near shore to deep. The sampling frame  
35 stretches from ten meters to 180 meters. On the inside, inside of  
36 ten meters, providing habitat mapping data via either multibeam or  
37 side scan is incredibly time intensive, to the point that it would  
38 take multiple hours to conduct a survey, and so it's challenging  
39 to provide data in those shallow environments, hence why we cut  
40 off the boundary there.

41  
42 We use black and white low-light cameras, and, with those cameras,  
43 we're able to obtain imagery without lights, under ideal  
44 conditions, to about 180 meters, and so that's really what drove  
45 the depth bound there. To extend deeper, we would need to have  
46 lighted systems, which, as you can imagine, imparts influences on  
47 fish behavior, and so you can't just integrate those data together.

1 In terms of natural reef, we developed a three-by-three factorial  
2 design, where we have three levels of increasing relief from low  
3 to high-relief habitats, and three levels of increasing reef  
4 feature size from small to large, and here's imagery of what those  
5 habitat types look like in situ.

6  
7 Then, for those nine strata, and those spatial strata identified  
8 earlier, we summarize both the habitat availability and managed  
9 species richness to develop the optimal allocation scheme that you  
10 see in the lower-right.

11  
12 I do note that, for both this and the artificial habitat assessment  
13 that I'll talk in a second, we did fourth-root transform the  
14 habitat, because there are a couple of regions of just broad  
15 habitat coverage that would have otherwise dominated our sampling,  
16 and so, to ensure a little bit better balance of design, we down-  
17 weighted that by fourth-root transforming the habitat  
18 availability.

19  
20 We also ensure that we have a minimum of two samples per sampling  
21 strata, and so we have the ability to estimate variances, if we  
22 eventually move to a full design-based index, and, for natural  
23 reef habitats, we have essentially nine habitat strata, nine  
24 spatial strata, in the eastern Gulf, and so a total of eighty-one  
25 different strata. A very similar design for the artificial  
26 habitats where we have, again, three --

27  
28 **MR. RINDONE:** Ted, we've got a hand.

29  
30 **DR. SWITZER:** Okay.

31  
32 **MR. RINDONE:** Go ahead, David.

33  
34 **DR. GRIFFITH:** I'm sorry. I raised my hand quite a while ago, but  
35 I wanted to ask you about the habitat selection and whether -- I  
36 think you had mentioned that, as you learned more about the  
37 habitats, then you would kind of alter your sampling methods, and  
38 is that right, or did you just continue random sampling in the  
39 same patterns?

40  
41 **DR. SWITZER:** Yes, and it was random through 2019, where there was  
42 no stratification based on habitat type. It was just whether we  
43 identified natural or artificial. Beginning in 2020, we've  
44 implemented this new design, where we actually have a habitat  
45 stratification scheme to it.

46  
47 **DR. GRIFFITH:** Okay. Well, thank you. That answers my question.

48

1 **DR. SWITZER:** Yes. Not a problem. So very similar for artificial  
2 reefs. The one caveat is that we don't have complete coverage,  
3 and so many of the artificial reef strata are absent in some of  
4 the spatial strata. I think somewhere around forty-five different  
5 combinations of strata in the Eastern Gulf for artificials.

6  
7 Now, the eastern Gulf, like I said, we were fortunate that we had  
8 a lot of oil spill funding that helped build the sampling frame.  
9 Again, that funding was only available to the states, and so NOAA,  
10 at the time, could not obtain that, and so, in the western Gulf,  
11 the goal is to eventually mimic the same approach in the eastern  
12 Gulf, but we're a little behind the eight ball, in terms of the  
13 data we had available to start the project.

14  
15 When we transitioned to G-FISHER, we had very limited coverage of  
16 mapping data, very little data on the actual shelf, and so, again,  
17 there were some large spatial gaps to address there. On the shelf  
18 break, they were mostly focused in areas of those initially  
19 identified sampling blocks and areas just outside of those, to  
20 extend the knowledge, and so it wasn't really random, and you  
21 couldn't use that to estimate overall habitat coverage in the  
22 western Gulf, and, again, like I said, spatially restricted.

23  
24 As we transitioned those mapping data into a G-FISHER-type  
25 stratification scheme, we found that, for some of the strata, we  
26 didn't have enough fish data to estimate true managed species  
27 richness, and so, as an interim approach, that we're currently  
28 still following, to a certain extent, we included one unnatural,  
29 or unclassified natural habitat, because there are some blocks  
30 that have been sampled for years that we didn't have mapping data  
31 for, and we didn't want to automatically exclude those, because  
32 that potentially could change the catchability of the survey.

33  
34 We allocated effort proportional to the habitats that we had  
35 available, and, again, we'll talk a little more about the new  
36 randomized mapping data we've been collecting, but, as we get more  
37 information, particularly on the shelf, we've adjusted this effort  
38 annually to allow us to sample those newly identified habitats,  
39 and we're getting close to the point that we think we have enough  
40 information to begin to optimize the survey in the west, similar  
41 to the east, potentially for either next year or the following  
42 year.

43  
44 Now, a little better case for artificials, because there's a lot  
45 of knowledge of the distribution of artificial habitats, including  
46 things like platforms and shipwrecks and pipelines, et cetera, and  
47 so we were able to compile all available information into a  
48 sampling frame. Again, we didn't have historical fish data to

1 optimize based on species richness, but we did use the proportional  
2 allocation scheme for these habitats as well.

3  
4 The end result of a typical G-FISHER sampling year is what you see  
5 here. We typically will sample about 2,000 randomized sites  
6 annually, skewed, again, more towards the natural reef habitats,  
7 because that dominates based on area, and so probably about 80  
8 percent natural coverage and 20 percent artificial coverage per  
9 year.

10  
11 One thing I don't have listed here is we also have a suite of about  
12 110 or so fixed station sites we've been sampling annually, and  
13 these are sites that were chosen under the historical three survey  
14 designs, and the three survey spatial footprints, and so those are  
15 essentially anchoring points that allow us to potentially validate  
16 indices moving forward, to make sure that we're following similar  
17 trends that we would see historically.

18  
19 That's, again, a general overview of kind of where we've come from,  
20 and now I'm going to transition to a broad overview of the  
21 applications of our data, and so, again, the primary application  
22 is for assessment and management, both for key inputs to stock  
23 assessments as well as increasingly these interim analyses, and  
24 some of these initial thoughts arose from the fact that, for a  
25 number of years, we would -- Each survey would provide an index  
26 for the assessments.

27  
28 They would evaluate those, and they were all found to be suitable,  
29 based on the data collection processes and the analytical  
30 processes. However, they would often -- As you can expect, because  
31 they cover different areas, and in some cases they cover different  
32 portions of the population, you might see conflicting trends, which  
33 are challenging to account for within a given assessment, and so  
34 often we would default to the SEAMAP Pascagoula survey as the  
35 longest time series.

36  
37 A caveat to note here is that it really wasn't possible to throw  
38 all these surveys and data into a generalized linear model, because  
39 there were definite differences in the habitat variables  
40 available. Particularly, the Pascagoula SEAMAP survey did not  
41 have the side-scan-derived habitats. There were a couple of key  
42 differences in how relief was coded, and so it wasn't really  
43 possible to throw all the data into a GLM and make it work  
44 appropriately.

45  
46 What we did was work with Mary Crispman to develop an approach  
47 that would allow us to combine these data into a single index, and  
48 that also would allow us to account for differences in the

1 available explanatory variables among the three surveys, and  
2 Kevin's paper has a lot more details in the initial approach that  
3 we've used, and we've tweaked it a little bit through time, as  
4 we've learned a little bit more.

5  
6 One thing to keep in mind, and this is especially for those of you  
7 that are seeing potentially old reports, or old working papers,  
8 and new ones, what used to be called the combined video index is  
9 now the G-FISHER index. It's essentially the transition of the  
10 time series, and so those, depending on whether you're looking at  
11 old or new reports, essentially are interchangeable.

12  
13 The approach is essentially to devise a weighted design-based index  
14 using available data, but it's based on post-stratifying the survey  
15 data into these new habitat strata, and so we first fit  
16 classification and regression trees on the presence-absence data  
17 for a given species, and, again, I think that's an important point  
18 to make, that we have to do an analysis that's species-specific.  
19 It's not something we can apply globally among all the species.

20  
21 Then we post-stratify the survey into these habitats based on  
22 relative proportion positives, and so medium would be kind of the  
23 average proportion positive throughout the time series. Low would  
24 be strata that have less than half the proportion positive for  
25 that species, and high would be those that have double the average  
26 proportion positive, and the bottom shows an example of a variety  
27 of potential explanatory variables that might go into the actual  
28 model, and so, again, presence-absence of species related to all  
29 these variables.

30  
31 Here's what one of those resulting CART outputs might look like,  
32 and, again, similar to how we devise the sampling frame, this CART  
33 identifies nodes based on the ability to predict the likelihood of  
34 having a presence and absence for the species, and so the  
35 information up here gives you the breakdowns of exact values where  
36 that break happens, and you can follow this through.

37  
38 In this case, and I forget what example species this might be, but  
39 it's a function of depth, latitude and longitude, the actual  
40 geoform code, those habitats that you see coded on side scan, as  
41 well as presence and absence of soft coral, and so, if you follow  
42 that through, those nodes are then color-coded based on that post-  
43 strata habitat.

44  
45 Node 10 and 12 both would have been classified as a low likelihood  
46 of proportion positive. Beside that, the N gives you the number  
47 of samples that fell under that category. The yellow would have  
48 been that medium, or moderate, frequency of occurrence, and the

1 green would have been the high, and the upper panel shows what a  
2 map of that might look like, and so some of these are due based on  
3 space, and some of these are due based on habitat, but it  
4 essentially gives you a distribution of sites of those different  
5 strata.

6  
7 That ends up being the strata that we use for post-stratification  
8 and for the subsequent design-based index, and those are conducted  
9 independently for each of the three surveys, because they all  
10 differ in respect to their available covariates.

11  
12 Now, to define the habitat weighting process, first, we use the  
13 overall footprint of the surveys that you see in this upper-left  
14 panel to get an estimate of how much total area they cover. We  
15 then use the randomized mapping data, which, because it's random,  
16 is representative of the unmapped area that you see in the lower-  
17 left here, to get a sense of what proportion of that habitat is  
18 actually reef habitat.

19  
20 In this case, if the blue would have represented the entire SEAMAP  
21 area, and the inset would have represented the randomized mapping  
22 area, we would say that about 55 to 60 percent of the mapping area  
23 would have been non-reef habitat, and so about 45 percent would  
24 have been, and that adjusts to estimate how much total reef habitat  
25 there is in the historical survey domain.

26  
27 Then, as I mentioned earlier, we have not stratified our sampling  
28 effort by habitat type, and so we essentially assume that the  
29 percentage of sites that fall into those three habitat types are  
30 representative of the proportionality of habitat within that  
31 survey domain, and so you might have this result you see here for  
32 species X, where here's how much SEAMAP coverage there would be  
33 broken, down by low, medium, and high, et cetera, and so these  
34 estimates of how much habitat there are then go into our final  
35 weighted habitat approach.

36  
37 Again, as I mentioned, it's important that these only involve  
38 historical data. We don't use post-G-FISHER data, because we've  
39 changed allocation in 2020.

40  
41 The final index values, you see an example here of how those  
42 indices in the right then translate to a final index, and so, for  
43 the index, we actually then model maximum -- Or maxN, our abundance  
44 data, and not presence-absence, and we provide habitat weights at  
45 the stratum level.

46  
47 That is at the year level, the survey level, and the habitat  
48 stratum level, and these are weighted by the habitat proportion to

1 sum to one, and so, for example, in this early time period, where  
2 there's only the SEAMAP survey, the three SEAMAP strata would then  
3 proportion sum to one, and so that's scaled depending on what  
4 surveys are available for that time series. Again, these final  
5 index values are generated using negative binomial error  
6 distributions, and so the bottom gives you the result index from  
7 combining these different components.

8  
9 Now, we've done this for a number of species. We don't do this  
10 for all species, and some species are somewhat problematic, and  
11 we'll touch on some caveats here in a second, but one of the  
12 benefits of combining these data from these surveys is that we do  
13 have a dramatic reduction in our underlying CV, and, also, by  
14 including a broader spatial coverage of data, we tend to have a  
15 more reliable estimate of overall population trends.

16  
17 Now, this is actually a summary from pre-G-FISHER, and this has  
18 only continued to grow, but, to give you a sense of how important  
19 the data from this video survey have become, in terms of  
20 contributing to most attempts to assess species, several of these  
21 were, I think, part of the data-limited SEDAR that we did a while  
22 ago, that didn't result in a lot of management advice at the time,  
23 but, in many cases, G-FISHER, or the precursors to that, were the  
24 primary data source available.

25  
26 We're going to go through a few examples here. As I mentioned,  
27 the one kind of negative of the approach that we use is that we  
28 can't just generate a one-size-fits-all approach that we apply to  
29 all the data, again like a generalized linear model would do, and  
30 so we do have to go through this whole process every time we  
31 analyze a different species, because they vary differently based  
32 on their distribution.

33  
34 You know, some are eastern Gulf only, some are Gulf-wide, based on  
35 habitat preferences, and some might not exist in deep environments,  
36 and not have been well-indexed by the SEAMAP survey, for example,  
37 and, as you're all aware, it seems like every species assessed has  
38 a very different delineation of the stock boundary, and so,  
39 especially when it comes to the habitat weighting component, we do  
40 have to adjust that based on how the spatial breakdown is for every  
41 single species.

42  
43 The good thing is the robustness of G-FISHER, especially on the  
44 last decade or so, allows us some flexibility to break down the  
45 data into some of these finer-scale assessment blocks that maybe  
46 some other surveys really don't do as well, and I'm just going to  
47 walk through, briefly, three recent case studies of data for actual  
48 assessments, the triggerfish, which was a Gulf-wide index, snapper

1 subregions, and the hogfish, which was definitely a unique approach  
2 in the eastern Gulf.

3  
4 You've seen the interim analyses recently, but here are some  
5 pending assessments that will be coming your way, and so, starting  
6 with SEDAR 100, gray triggerfish, it's probably the most  
7 straightforward approach to this. It's a natural-reef-only index,  
8 and it's Gulf-wide.

9  
10 Again, for this survey, we have not included the new data that are  
11 coming on the shelf for the western Gulf, because we don't have a  
12 long-time series for those. For this initial approach, it's just  
13 using the historical SEAMAP footprint, for the most part.

14  
15 One of the components we do examine when we are doing this, to see  
16 if it's even appropriate to combine this, is to look at size  
17 composition data, to make sure there's not a dramatic shift as the  
18 different surveys come online, and the upper-right panel shows  
19 that.

20  
21 You have data from the SEAMAP surveys, east and west, Panama City,  
22 FWRI, and then the G-FISHER surveys, and, for triggerfish, while  
23 some surveys have a lot more robust size composition dataset, we're  
24 not seeing a dramatic change in size composition or selectivity  
25 among those, and, in this case, the resultant index that you see  
26 is in the left.

27  
28 One thing we've begun to explore a little bit of is actually  
29 weighting these indices, or weighting the size composition data,  
30 so that the percentage of sizes within the strata, or the surveys,  
31 are weighted. This is a nice approach, but it's something that we  
32 really can only do when we have a fairly robust dataset. There  
33 are some species that we don't have nearly as many sizes as we do  
34 for triggerfish, and, in those cases, it tends to be somewhat  
35 difficult.

36  
37 Red snapper was a bit of a different beast. As you're well aware,  
38 we have a three-region model. For the western Gulf, we didn't  
39 have to do a combined index, because that was SEAMAP only, and so  
40 we did two combined indices for the eastern Gulf, one for the  
41 central component and one for the east.

42  
43 Now, you'll notice that the time series of these two differs  
44 dramatically, and that's due to the length of robust data that we  
45 have for these two regions.

46  
47 Again, as we talked about triggerfish, we also, again, looked at  
48 the size composition, which for red snapper seemed to be pretty

1 spot on. For red snapper in the central component, we can go back  
2 to the 1990s because the SEAMAP survey was very robust in this  
3 region, going back even that far, whereas, in the east, only a  
4 small portion of the east, which is actually the southeast part of  
5 the Gulf, was sampled by the SEAMAP survey.

6  
7 That sampling effort was very haphazard, based on whether funding  
8 was available or the ship could make it, and so, for the east, we  
9 felt we needed to truncate the index to 2010, when we had fairly  
10 good sampling coverage.

11  
12 The one unique thing we did with red snapper was we examined the  
13 potential for an artificial reef index because, again, as we know,  
14 they tend to be fairly closely associated with these habitats, and  
15 so, with the NFWF funding, we had artificial reef sampling going  
16 back to 2014, or 2015, and you can see the distribution of those  
17 sites here, where, again, red dots are where red snapper are  
18 present. Much better coverage in the central region, but we've  
19 had enhanced G-FISHER coverage throughout the entire eastern Gulf  
20 beginning in 2020.

21  
22 Ultimately, we decided that the data were too sparse in the east  
23 to go back prior to G-FISHER, and so we did a short index for that  
24 region. It would be a longer time series in the central region.

25  
26 Now, the panel felt that these data were informative, and the  
27 approaches in the survey were appropriate, but, ultimately, they  
28 were not recommended for use for red snapper. The primary reason  
29 for that is that, if you have data from independent indices that  
30 are folded into the same assessment model, they're weighted  
31 relatively based on their CVs, and so, with artificial habitats,  
32 they probably represent only about 2 percent or so of all reef  
33 habitat in the eastern Gulf, and so giving them roughly equal  
34 weight to the natural habitat index was probably not appropriate,  
35 and so the panel recommended that, as we move forward with  
36 incorporating artificial reefs into our indices, that we explore  
37 including those as a different strata in the weighted G-FISHER  
38 approach.

39  
40 Again, I think that's something important to keep in mind,  
41 especially as we talk about expanding artificial reef work in the  
42 west, which, again, at this time, we did not have the time series  
43 to do so.

44  
45 The final example I'm going to talk about, in terms of indices, is  
46 hogfish. Now, hogfish was very unique, in terms that it has a  
47 very different stock ID boundary. Based on genetic data, it looks  
48 like the boundary is essentially due west of Florida Bay, and so,

1 despite G-FISHER being a Gulf survey, there was both a Gulf, which  
2 is most of the survey domain, and an Atlantic index developed for  
3 hogfish. We also were able to incorporate artificial reefs Gulf  
4 only, due to the sparseness of data in the Atlantic.

5  
6 Here's what the Atlantic survey index looks like. Again, we were  
7 able to bring this back to 1993, because we have a fairly decent  
8 coverage of the Keys reef tract from that SEAMAP survey, with some  
9 notable temporal gaps, and so there's a lot of year gaps that we  
10 see here, where either sampling was not conducted, or it was only  
11 conducted in maybe a small, spatially-restricted area in this area.  
12 The index is able to expand through the whole time series, but we  
13 have, again, more robust data in the last decade or so.

14  
15 For the east, again, we initially made the attempt to generate an  
16 index going back in time. However, because of a few things, and,  
17 one, you see, in the lower-right, a dramatic difference in the  
18 size composition of hogfish in the areas that the SEAMAP survey  
19 was conducted, much larger, and some of those -- That sampling  
20 domain is really beyond where you typically see high abundances of  
21 hogfish. They're not as deeply distributed as some of the other  
22 taxa, and the decision was made to truncate since 2006, but we  
23 were able to incorporate artificial habitats into this index.

24  
25 In addition to the traditional indices that you're used to seeing,  
26 we are heavily tied into ongoing modeling efforts, particularly  
27 Dave Chagaris' West Florida Shelf red tide models. Our habitat  
28 mapping data are the primary source of his underlying spatial maps  
29 that you see here on the right. These aren't the most recent  
30 versions, because we've just provided him a few more years of data,  
31 but these give you the percentage of habitat within these boxes,  
32 the grids that fall under a collapsed G-FISHER strata, and so this  
33 includes artificial and natural and three relief categories, but  
34 it collapses over the rough spatial scale of this.

35  
36 Both this and the fish data that we're producing are key inputs  
37 into this model, and we'll see some updated analyses for gag here  
38 in the next couple of months.

39  
40 I don't really have a chance to talk through a lot of this, but  
41 our objective is really to provide data that's useful for a variety  
42 of different reasons, and, with the RESTORE project, we have some  
43 other competing objectives that our project team is working on,  
44 but we've designed the survey to deal with and address a variety  
45 of questions, from synchrony of trends among similar species, to  
46 the importance of habitat spatial scales, to habitat dynamics, and  
47 a variety of other questions, and so you'll probably see more of  
48 this coming, coming down the pipeline, but, again, I'm not going

1 to talk a lot about that today.

2  
3 The final thing I want to touch on is how we're adapting the survey  
4 moving forward, and, again, it's a long-term time series. You  
5 don't want to do a whole lot of changes, because the concern is  
6 always that are the changes due to changing populations or changing  
7 methods, but we do know that there are some issues, and some gaps  
8 that we need to address, and we're doing so in the best way we can  
9 to try to make that happen within the context of the current survey  
10 design.

11  
12 The first I've touched on a little bit earlier, is this whole  
13 notion of artificial reefs. Again, they are -- While they're maybe  
14 not numerically dominant, in comparison to natural habitats, they  
15 are locally important. The dynamics, the fishing dynamics, are  
16 different in these habitats.

17  
18 Some species rely on these in a different preference than natural  
19 habitats, and so we've always known, and felt, that it's important  
20 to account for these in our survey. We were able to do some  
21 exploratory work with the NFWF funding in the eastern Gulf, mainly  
22 just to assess the feasibility of sampling these.

23  
24 Again, some of these are really high relief, and we're dropping  
25 camera pods, and could we do so successfully without losing gear,  
26 and the answer to that has been yes, for the most part. With the  
27 good habitat mapping data we have, we have the ability to pinpoint  
28 gear deployment pretty effectively that we're sampling the reef,  
29 but not losing gear, and so that's using standard methods, and,  
30 for most of the artificial habitats in the eastern Gulf, it has  
31 been pretty effective.

32  
33 As we saw with hogfish, we're to the point now that we have a  
34 sufficient time series to integrate into existing indices. What  
35 we're also seeing is we may have the ability to generate indices  
36 for new species, for example goliath grouper, where you would not  
37 really be able to develop a natural reef index in the Gulf, due to  
38 the sparseness of data, and we see, potentially, some ability to  
39 do that, and so it's expanding the index portfolio that we have of  
40 the survey.

41  
42 We're doing the same in the western Gulf, but the western Gulf has  
43 a unique habitat that we don't see much of in the east, and that's  
44 these oil rigs, or oil platforms, and, with these, dropping a  
45 standard camera is not going to be incredibly effective, for a  
46 number of reasons, primarily because the fact that their  
47 distribution extends the entire water column, and so we see species  
48 that are distributed fairly differently.

1  
2 Here's some example data that we've collected in some pilot surveys  
3 over the last first three or four years of G-FISHER, where you see  
4 the species on the X-axis, and their percentage of occurrence on  
5 the Y-axis, and you see things like, like seriola, rivoliana, and  
6 barracuda in the upper part, and you see gray snapper in the upper  
7 and the middle part, and you see a lot of species concentrated in  
8 the bottom, and so a bottom-only deployment in these areas is going  
9 to be ineffective, in many cases.

10  
11 The approach that we've developed, and some of this has been based  
12 on input from LDWF as well, is a full vertical water column  
13 transect, where essentially we drop a camera at a standard rate  
14 throughout the water column, and we're able to annotate for maxN,  
15 and so, for some species, maxN may occur at the top, and for some  
16 it may occur at the bottom, et cetera.

17  
18 Now, we have a very short time series. Again, although G-FISHER  
19 started in 2020, we couldn't start in the western Gulf, because of  
20 COVID, and we have a short time series. Typically, you need a  
21 minimum of five years of data before you have some reliance for an  
22 abundance estimate, and then we also have to evaluate, at some  
23 level, how do we best incorporate this into G-FISHER.

24  
25 Again, we don't want to have the same problem with red snapper,  
26 where we just throw a separate index in there that's not  
27 appropriately weighted, and so we're exploring approaches of how  
28 to do that, but know that data from platforms are beginning to be  
29 available, and be forthcoming, in the next year or two.

30  
31 The second problem we know we've had in the western Gulf are these  
32 large spatial gaps, where historically you saw very few sampling  
33 locations, or reefs, on the actual shelf, and we know that the  
34 habitat dynamics in the western Gulf are very different than in  
35 the east.

36  
37 In the East, there's abundance of habitat, natural on the shelf,  
38 and it's not nearly as abundant in the west, but, as we've begun  
39 to collect mapping data on those shelf habitats, we're seeing that  
40 it's largely a lack of mapping effort, and not a lack of habitat.  
41 There are quite a bit of habitat in that region. It's different,  
42 and we see an example of the side scan data in the lower part here.

43  
44 These small-scale features are kind of like potholes that you would  
45 see in the eastern Gulf, and, again, this isn't necessarily a new  
46 thing. The initial Great Red Snapper Count identified all these  
47 reef anomalies, where you're seeing these red snapper on this  
48 presumed non-reef habitat, and what we're seeing is that it

1 actually is hard bottom, but it's just fairly small scale.  
2  
3 We've begun to build this sampling frame of these habitats on the  
4 shelf, and done some exploratory work, and we're seeing, by and  
5 large, that most of these do contain red snapper and a few other  
6 reef species, and so the relative importance of these habitats  
7 for red snapper is something that we're interested in, particularly  
8 in terms of how the expanding spatial problem will influence our  
9 index, whether an area has to be treated separately, because maybe  
10 these are smaller red snapper than what we've historically sampled,  
11 or whatnot, but these are definitely important habitats and things  
12 we're beginning to explore more fully.  
13  
14 Now, for both those components in the western Gulf, the other  
15 challenge we have is this issue of poor visibility, and you can  
16 see a map, on the upper-right of the transmissivity. Again,  
17 essentially, the orange and red areas are areas that are very  
18 difficult to obtain useful optical data, and so, on the bottom,  
19 where we're sampling the oil rigs, the very, very bottom, we might  
20 not get useful data, and some of those potholes we just mentioned  
21 are kind of hit and miss, in terms of whether the visibility is  
22 useful, and it's never an issue in the eastern Gulf, but definitely  
23 an issue in the west.  
24  
25 In some areas it's ephemeral, and, you know, sometimes in a year  
26 it might be fine, and otherwise it's not. Others, it's essentially  
27 a permanent feature of just the water quality dynamics of the  
28 western Gulf.  
29  
30 Now, if it had just limiting field of view, and, you know, we're  
31 only able to see two meters instead of ten meters, those are things  
32 we can account for in stat models, but, if we have completely  
33 unusable video, it's a problematic issue that we know we need to  
34 address, because there's large areas that we're not really  
35 accounting for very well.  
36  
37 Now, there's a couple approaches we're developing to deal with  
38 this. The first is the use of acoustic cameras, and here's an  
39 example that you see from the eastern Gulf, where we have good  
40 visual visible data, and so you see that the boxes on the left are  
41 the fish that we're seeing. They're very similar to the fish we're  
42 seeing on the acoustic camera on the right, and so, again, all of  
43 this, we're trying to develop and validate and calibrate approaches  
44 in the eastern Gulf, where we know we have the optical data to  
45 link it to, and then the goal will eventually be to apply this to  
46 the western Gulf, and so we're beginning to collect a large volume  
47 of data from these acoustic surveys.  
48

1 Now, what we're seeing is that it's fairly easy to identify fish  
2 on the acoustic cameras, but, at present, species-level ID is not  
3 going to be great, and so the other tool we're throwing at the  
4 problem is this application of environmental DNA, and so I'm not  
5 sure how familiar folks are, but the concept is that all things in  
6 the ocean are shedding DNA.

7  
8 Some of it is just based on skin, and it could be feces, and it  
9 could be gametes, and it could be all kinds of stuff, and so  
10 there's a lot of this DNA in the environment, and we can collect  
11 water quality samples, and amplify and process this DNA, and get  
12 a sense of what species were within that area within the fairly  
13 recent time period, based on, you know, how far water currents may  
14 come, how fast the DNA degrades, and those types of things.

15  
16 We've developed a lot of tools with G-FISHER to make this process  
17 much more effective. One of the first things we learned, in terms  
18 of the environmental DNA work, is that the DNA reference library,  
19 especially for the Gulf, was very poorly developed. Many of the  
20 common species that you thought we would have data for, we didn't,  
21 and so we started with a significant investment in building out  
22 the DNA reference library for predominantly the managed reef fish  
23 that we're most interested in.

24  
25 There's also wasn't really a great sense of how you should go about  
26 collecting DNA. There's a lot of different approaches. You could  
27 do a precipitation method, which requires very small amounts of  
28 water. You could do a filtration method, which requires a lot,  
29 and the result you see here on the right is that, by filtering  
30 water, we actually get a much better return on investment, and so  
31 we've developed best practices for how to collect and process  
32 environmental DNA, and there's the primers that you use.

33  
34 Basically, it's what sequences you use to identify species, and  
35 sometimes the general primer, that gives you relatively okay  
36 community structure coverage, may not be great for a particular  
37 species of interest, and so there's a lot of effort ongoing to  
38 optimize the primers for the most important species.

39  
40 Now, there's also two approaches that you can do for environmental  
41 DNA, depending on what your interest is. We focused historically  
42 a lot on what's called metabarcoding, and that allows us to  
43 essentially get a community perspective for the environmental DNA,  
44 which is good from a multispecies perspective, and it allows us to  
45 look at, you know, presence-absence related to what we see on  
46 video, and so things like detection probability, but there are  
47 also alternative approaches, that are a little more involved, that  
48 allow us to actually quantify environmental DNA, and so the qPCR

1 methods, and that is something that we're really exploring, in  
2 particular in relation to this acoustic camera work, because it  
3 may be something that's actually very much akin to a relative  
4 abundance metric that you see on video.

5  
6 By applying things like a combination of acoustic cameras and  
7 environmental DNA, we hope to develop an approach to provide some  
8 information in these low-visibility environments in the west. We  
9 still have a lot of R&D to do, but that's the approach we're going  
10 for. Go ahead, Trevor.

11  
12 **MR. RINDONE:** Yes, and we've got a question from John Mariska.

13  
14 **MR. MARESKA:** Ted, thanks for the presentation so far. Just a  
15 quick question on this graph right here. Your taxa counts, are  
16 those just fish, reef fish, or does that include invertebrates as  
17 well?

18  
19 **DR. SWITZER:** This was just reef fish. Invertebrates require very  
20 different primers. Now, the good news is that, the samples you  
21 collect, you amplify all the DNA, and you have that as a reference  
22 material, but, depending on what tax you're interested in, you  
23 need a different primer, and so, for example, if you wanted to  
24 filter our historical data for say Rice's whale, which is something  
25 that's easily doable, they would need to come up with a different  
26 primer to run through that, but that is exactly something we've  
27 talked about doing as well, particularly for the protected corals  
28 that we see throughout the Gulf.

29  
30 **MR. MARESKA:** Okay. Thank you for that.

31  
32 **DR. SWITZER:** No problem, and so probably one of the biggest  
33 bottlenecks we have, in terms of providing especially interim  
34 management advice, is the idea of data timeliness. Video  
35 annotation by video readers is incredibly labor intensive, and so  
36 about 2,000 of our videos are collected a year, and so we finish  
37 that up somewhere around August or September of a given year.

38  
39 We estimate it probably takes about 10,000 total man hours, or  
40 maybe a little more, to process all those videos, and so,  
41 currently, we tend to have about a fifteen-month lag time between  
42 when the survey is completed and data first available, which,  
43 again, is not ideal, but there's two approaches to deal with that.

44  
45 One, you could throw twenty or thirty people at it, which will  
46 help, but what we're also trying to incorporate, at some level, is  
47 this machine learning approach to helping to annotate these videos,  
48 and I'm not going to go into a whole lot of detail with that today.

1 We're in the process of still developing and evaluating our models,  
2 and how we're going to tackle this, and the plan, I believe, is to  
3 present a proposed pipeline to the SSC by the end of this year.  
4

5 Again, getting input on things like how frequently should we change  
6 our reference library, and what kind of uncertainty are we willing  
7 to live with, et cetera, but, to give you a sense of what this  
8 looks like, here's an example, and this is a bit out-of-date.  
9

10 We have a much more refined model now, but, essentially, you run  
11 the video through VIAME, and it identifies what it thinks are fish.  
12 It gives its best guess, and you see the labels here, and so you  
13 see red snapper, red porgy, and occasionally you see an  
14 unidentified, but so it gives its best guess, and then it also  
15 gives a confidence level for that guess, and so we have the ability  
16 to identify thresholds.  
17

18 You know, are we happy with things that are 90 percent confident,  
19 or 80 percent confident, and do we need to have -- Could we be a  
20 little less confident, and accept some more uncertainty there,  
21 but, essentially, what we're developing now, and Matt can talk  
22 about this, and Matt Campbell is on the line, if there's questions  
23 now, but it's essentially a human loop process.  
24

25 We don't envision ever simply turning AI loose on these videos and  
26 just trusting all the data. There's going to have to be at least  
27 some level of follow-up, at least uncertain taxa, and, some of the  
28 more ecosystem non-managed taxa, we may never have enough reference  
29 imagery to really get a good handle on, but we do think we could  
30 dramatically decrease the amount of time to process these videos.  
31

32 I can't tell you exactly how much, but our hope is to reduce it  
33 dramatically, to be more in line with some of the other survey  
34 data that you see, and, again, it's not really talked about here,  
35 but we're also exploring whether we can automate some of the  
36 measurement components to that as well. Measurements aren't nearly  
37 as time intensive as the actual video reads, but, again, if we can  
38 automate anything, that saves time and gets data to you guys much  
39 more rapidly.  
40

41 The other thing that's already in place, to a certain extent, is  
42 turning over routine indices of abundance for view by you and  
43 others, and so you've probably all seen the SEAFish website. It's  
44 something that the Southeast Fisheries Science Center has  
45 developed that, for somewhere around fifteen or twenty managed  
46 species, it produces standard indices for all the surveys that are  
47 used in the actual assessments.  
48

1 The capture surveys have been integrated for a while, and Kate  
2 Overly has led efforts to integrate the G-FISHER data, following  
3 the protocols that we've used for these analyses as well, and so,  
4 yes, we produce focused interim analysis as requested, but,  
5 essentially, what the plan is, it's that, every time that we update  
6 the data for another year, these indices will be updated, and so  
7 it's something you can review at your leisure.

8  
9 Overall, G-FISHER, the video survey data in the Gulf, has come a  
10 long way over the past three decades. I think we're doing better  
11 than we did in the early 1990s. It's currently the most  
12 comprehensive survey of reef fish and habitats in the Gulf. It's  
13 robust, at about 2,000 or so sets a year, and, again, the reason  
14 we're giving this talk is that you're seeing this a lot more, and  
15 we want you to have a better understanding of how the indices are  
16 developed and where the data come from.

17  
18 Now, we're still continuing to evaluate all components of this,  
19 you know, whether it's how we analyze the data, whether it's data  
20 gaps, like acoustics data, et cetera, and we're not resting on our  
21 laurels. We know that there's improvements we need to make, and  
22 there's other things we can do to improve the data, especially for  
23 the ecosystem-based type approaches.

24  
25 We've identified limitations, in many cases, and we're trying to  
26 develop solutions that will address these while not influencing  
27 the trends that we see from the resultant data, and so our hope is  
28 that, as we move forward in the next several years, the G-FISHER  
29 data will continue to be more robust, and more useful, for all of  
30 your needs.

31  
32 Now, I do need to bring this up, because there's always questions.  
33 I mean, people are excited about G-FISHER, and, currently, there's  
34 an expiration date. We are in our renewal phase of the NOAA  
35 RESTORE Science Program grant, and that will fully fund sampling  
36 through 2028, and processing of those data, and maybe a little bit  
37 of sampling in 2029, but, currently, there is no funding on the  
38 back end of that timeframe, and so, without enhanced funding, that  
39 data will largely cease. Some of the surveys could be supported  
40 by SEAMAP, but definitely nowhere near the extent that we're doing  
41 currently.

42  
43 Now, we do have some inroads to this. We've already begun, as of  
44 2025, to integrate the state partners and in a limited way, again  
45 based on unavailable funding, and, again, this is a map of what  
46 state partners were able to sample last year.

47  
48 I did note that Mississippi, while they didn't sample in 2025,

1 they have two readers that are helping process some of the data,  
2 and we also have some LBRs that are going through the federal  
3 system to hopefully fund G-FISHER moving forward through the SEAMAP  
4 umbrella. Nothing firm, and nothing is in place. We've had at  
5 least positive conversations with some of the regional senators  
6 and congressmen, and so the hope is that this will continue,  
7 because we know that the data are important.

8  
9 Anyway, that's all I've got, and so that accesses the G-FISHER  
10 story map. There's a nice ArcGIS story map that talks about a lot  
11 of these things in more detail. Check that out if you're  
12 interested, and, obviously, if there's questions, either myself or  
13 some of our team can answer those. Thanks.

14  
15 **CHAIRMAN MONCRIEF:** All right. Thank you, Ted. Yes, and I think  
16 there's going to be some questions here, and I think a little bit  
17 of discussion, and so I've got some, but I'm going to hold them  
18 until after everybody else has asked, and so you all go ahead and  
19 raise your hands, and let's get those names up on the board if  
20 we've got them. All right. There we go. We've got one. Go  
21 ahead, C.J.

22  
23 **DR. SWEETMAN:** Thanks, Trevor, and I appreciate the presentation,  
24 Ted. I just kind of want to highlight kind of where the council  
25 is going, as you all are aware, relative to how assessments are  
26 going to be done with the change in federal resources that are  
27 available.

28  
29 I do believe that there is going to be more of a reliance on more  
30 data-limited approaches and, as Clay likes to call it, not the  
31 Cadillac of stock assessments, and I think we have realized,  
32 relative to the value of surveys like G-FISHER, relative to how we  
33 can manage it in a more timely manner, and particularly we saw  
34 that for lane snapper, and I know other species are being looked  
35 at too with G-FISHER.

36  
37 Certainly I just wanted to highlight that, the importance of  
38 surveys like this, and so I appreciate the very detailed overview  
39 of G-FISHER, Ted. I think this is a great program, and certainly  
40 I would be an advocate for maintaining something like this in the  
41 future here, given the funding situation, and so just really  
42 appreciate it. Very good program. Thank you.

43  
44 **CHAIRMAN MONCRIEF:** All right. That's one of my comments off the  
45 board, and so C.J. got that one. Dr. Nance, go ahead.

46  
47 **DR. NANCE:** Thank you, Mr. Chair. Ted, that was a great  
48 presentation. I learned a great deal about G-FISHER, and I

1 appreciate those efforts. The question I have is, I mean, you  
2 look at the dots on the Gulf, and it's really more towards the  
3 eastern Gulf. Does that -- Turbidity and things like that, does  
4 that in any way tend to inflate the eastern over the west, as far  
5 as abundance and things like that for different species?  
6

7 **DR. SWITZER:** So it may at some level, but the habitat weighting  
8 approach we think will account for that at some level, and so we  
9 actually do upweight the western Gulf data, based on the area that  
10 that it represents, but it's also -- Because it's largely a  
11 function of habitat availability.  
12

13 There's definitely more total available habitat in the west, or in  
14 the east than the west, even with the mapping data we're finding  
15 on the shelf, I think, and so I think we're -- The approaches that  
16 we use are accounted for that, to at least some extent.  
17

18 **DR. NANCE:** Okay. Thank you.  
19

20 **CHAIRMAN MONCRIEF:** All right. Harry, go ahead.  
21

22 **MR. BLANCHET:** Thank you. Very interesting, of course, and I had  
23 a ton of questions, and I was hoping that there would be some other  
24 hands raised before I start sounding like I'm picking on somebody,  
25 and I apologize for that in advance.  
26

27 First off, thinking in terms of the western Gulf of Mexico, you've  
28 mentioned some existing data sources, and some you did not mention,  
29 and I don't know if you had looked, or started working toward  
30 getting or not, and the State of Louisiana has done some side scan  
31 and multibeam work around a lot of the artificial reef placements,  
32 but also in their planning areas, and so you have some good  
33 coverage of some areas that is scattered with toppled oil  
34 platforms, or moved oil platforms, or other forms of artificial  
35 reef, but also some characterization of the water bottoms.  
36

37 That was done by Chuck Wilson, going back into the 1980s, and that  
38 was followed up by other people along the way, and I don't know  
39 how much of that is still available, but you might check with the  
40 artificial reef program, with Wildlife and Fisheries, and see what  
41 they've got.  
42

43 The other major source of that side scan or multibeam data that  
44 I'm aware of in the western Gulf of Mexico, and it's been kind of  
45 a pet peeve of mine for a long time, is that a lot of that has  
46 been scanned by various and sundry oil companies in some of their  
47 pipeline surveys, assessments, when they're doing bids or trying  
48 to evaluate potential for drilling opportunities, and they're

1 going to have some surface information, along with the subsurface  
2 information, and BOEM may have access to some of that.

3  
4 I haven't picked on anybody from that group recently, but there  
5 may be some way to obtain a lot of information, at relatively  
6 little cost, without having to go back and re-plow that ground,  
7 and so I just encourage a couple of -- Chasing down a couple of  
8 possible data sources for the western Gulf.

9  
10 **DR. SWITZER:** Well, thanks. I think definitely the state stuff I  
11 think is potentially a good mine. I know we've tried for years  
12 the BOEM angle, and essentially it gets shut down.

13  
14 **MR. BLANCHET:** Have you tried going the other route and looking at  
15 some of the bigger players in the Gulf, things like the Chevrons  
16 or Shells or BP's, some of those folks that have actually -- The  
17 oil companies themselves, because BOEM themselves may not want to  
18 give away third-party information, but it might be something that  
19 some of the oil companies themselves might be able to do.

20  
21 **DR. SWITZER:** Like with BP, I know that there was a proposal to  
22 have that released as part of their settlement, but they balked at  
23 that, and that doesn't mean we can't keep trying, because, again,  
24 your point is exactly that, and they don't care about the surface.  
25 It has nothing to do with their prospecting, and so that's not  
26 really that important to them, but it is to us.

27  
28 **MR. BLANCHET:** I just -- I feel that, the more times we ask, and  
29 ask in different ways, then perhaps it might eventually get to  
30 somebody who cares.

31  
32 **DR. SWITZER:** Definitely. Appreciate that.

33  
34 **MR. BLANCHET:** The other question I had was a little bit different.  
35 Thinking in terms of the western Gulf, you listed different depth  
36 distributions of various species of seriola. I have a hard time  
37 with seriola, unless it have it in my hand. How do you do that?

38  
39 **DR. SWITZER:** That's definitely a challenge. If you look at the  
40 historical video data we have, when they get to be a certain size,  
41 our folks feel fairly confident, and, again, we stress to never  
42 guess, but the small ones -- You can actually look at -- They're  
43 just almost impossible to identify, and so our data for seriola  
44 really picks up somewhere around 300 or so millimeters. Anything  
45 smaller than that, we just can't identify them very well.

46  
47 **MR. BLANCHET:** Okay. Thank you. I'll let other people speak.

48

1 **CHAIRMAN MONCRIEF:** Thank you, Harry, and I guess where they're at  
2 with those seriola -- I mean, you've got almaco that are ten to  
3 forty pounds, and so those get pretty easy to chop up a little  
4 bit. Luiz, go ahead.

5  
6 **DR. BARBIERI:** Thank you, Mr. Chairman. Ted, thank you for the  
7 great presentation and overview. As you know, of course, I have  
8 been following this very closely from the very beginning, but even  
9 I learned a lot today. I think this overview was super helpful,  
10 super informative, and I want to thank you and the team, you know,  
11 all of those folks listed on the screen, for all the help bringing  
12 all of this together, because I think it's an excellent  
13 presentation, and exactly what I was hoping we would have.

14  
15 My question is more in line -- I guess it's a continuation of an  
16 issue that Harry raised, right, in terms of shaking the tree and  
17 seeing if other things start falling, in terms of availability of  
18 data to supplement what we have here.

19  
20 My conversations with you, over the last maybe three to six months  
21 or so, have included like the effort, right, to move forward with  
22 a federal legislative budget request, a federal appropriation, to  
23 potentially expand G-FISHER and have more explicit participation  
24 from other Gulf states. Can you expand on that for me a little  
25 bit?

26  
27 **DR. SWITZER:** Yes, definitely, and so, even currently, with a  
28 fairly well-funded program, there are areas that are just  
29 challenging for our program to get to. For example, the southwest  
30 Gulf, Texas, it's just challenging for NOAA to get there, based on  
31 ship availability, weather, those types of things, and so getting  
32 other states involved to help with regionally-challenging areas,  
33 and, again, as we expand onto the shelf, things like the platforms,  
34 and, actually, the Louisiana Department of Wildlife and Fisheries  
35 does a fair bit of the platform sampling moving forward with this  
36 program, and so getting them to help like in the shallow areas is  
37 something important.

38  
39 One thing to keep in mind, and this is, again, a challenge we're  
40 going to have, at some level, is, for example, Alabama has been  
41 doing a lot of work in the coastal areas for a long time. We have  
42 been unable to access mapping data from there, due to the fact  
43 that, the second it comes to Florida, it's open to the Sunshine  
44 Law, and anybody can request it at any point in time, and so that's  
45 also a challenge that we face in terms of accessing these  
46 additional habitat sources, is that they have to be willing to let  
47 them become public knowledge.

1 **DR. BARBIERI:** Yes, and that makes sense. Yes, and it is a  
2 challenge, but, you know, something I think that we need to think  
3 about, right, because getting G-FISHER to continue evolving over  
4 time, to become a broader sort of a consortium, a science  
5 consortium that's, you know, broader, in terms of integration of  
6 state and federal partners, I think would be a plus for all  
7 involved, and so thank you, Ted. Sounds good.

8  
9 **CHAIRMAN MONCRIEF:** Luiz, I 100 percent agree, and that will be  
10 some of my comments there at the end. Tiffany, go ahead.

11  
12 **DR. HOPPER:** Thank you, Mr. Chair, and, as many other folks have  
13 said, Ted, thank you for the great presentation. This has been  
14 really informative. To follow up on one of the questions earlier,  
15 and I may not have fully understood this, but you mentioned that,  
16 originally, the systems were using those older orthogonal-style  
17 cameras, and then you had moved to that spherical camera system,  
18 and, as I understood it, you mentioned comparing the single frame  
19 of the spherical camera versus the entire spherical camera image.

20  
21 I was wondering what the comparability looked like between the  
22 older versus new-style cameras, and, thinking about that  
23 specifically, I know the state collected data in Texas last year,  
24 and was still using that older-style camera, so I'm just wondering  
25 what impact that might have on comparing datasets with different  
26 cameras that are being collected at the same time.

27  
28 **DR. SWITZER:** Good question. The old cameras and the new cameras,  
29 they're the exact same camera itself, and so it's the same  
30 resolution, the same horizontal and vertical field of views. The  
31 spherical ones are only just stitching off all those together.

32  
33 **DR. HOPPER:** Okay.

34  
35 **DR. SWITZER:** So a single screen for the single camera is the same  
36 as a single screen for the spherical camera.

37  
38 **MR. HOPPER:** All right. That makes sense. I appreciate that  
39 clarification, and the other question, or point I wanted to bring  
40 up, is it's really interesting with the potential use of some of  
41 this eDNA to address some of the visibility issues over here in  
42 the western Gulf, and I know we've had some challenges when we've  
43 tried to do similar eDNA work, and so I am curious as to what kind  
44 of success you guys are having addressing some of the types of  
45 issues we've seen.

46  
47 I know our genetics folks had some issues with DNA primers, that  
48 had biases in amplification, and so I'm just wondering whether or

1 not you guys are seeing similar type issues, or is that just still  
2 a work in progress?

3  
4 **DR. SWITZER:** It's mostly still a work in progress. If we can  
5 access -- Give Kate Overly the ability to talk, and she's actually  
6 spearheading our eDNA component of the project, and she can  
7 probably speak much more to that than I can.

8  
9 **CHAIRMAN MONCRIEF:** Let's go ahead and do that.

10  
11 **MS. KATE OVERLY:** Can you hear me?

12  
13 **CHAIRMAN MONCRIEF:** Yes.

14  
15 **MS. OVERLY:** Okay, and so we do have some issues with that. It's  
16 in review right now, and we have a comparison paper, that Ted  
17 mentioned, looking at that versus our video data, versus our  
18 filtration data, and what we found was a lot of the commercially-  
19 important species -- We used 12S with the MyFish primer region  
20 originally for the first five years of G-FISHER, and what we found  
21 is that, for families like Lutjanidae and Serranidae, we don't  
22 really get the differentiation that we need to the species level  
23 with 100 percent confidence across all species within those  
24 families.

25  
26 We actually just received funding internally through NOAA, through  
27 something called the Omics Strategic Initiative, and so we have a  
28 project, this summer, where we are developing optimized  
29 metabarcoding primers for those -- I think it's seven families,  
30 and so it's Carangidae, Serranidae, Lutjanidae, all of our  
31 problematic ones, basically, and hopefully we'll come up with a  
32 better primer to be using for metabarcoding, and so, Tiffany, I  
33 can definitely keep you in the loop on that, because those would  
34 be publicly available as soon as we have them, you know, developed  
35 for anyone to use, and that will be a lot better suited for the  
36 Gulf.

37  
38 It's just some of this work in the Gulf is just getting started,  
39 whereas the Pacific, where those original 12S primers were  
40 developed, it's better suited for their species, and so that's  
41 kind of a little update there, but we can definitely keep you  
42 further updated.

43  
44 **DR. HOPPER:** Thank you. Very much appreciated, and I appreciate  
45 that extra insight.

46  
47 **MS. OVERLY:** Yes. Absolutely.

48

1 **CHAIRMAN MONCRIEF:** All right. We've got John. Go ahead.  
2  
3 **MR. MARESKA:** Hi, Ted. Thanks again for the presentation, and so  
4 I'm kind of looking at slide 53, your optimal survey limitations,  
5 and so, as the SSC was reviewing greater amberjack and triggerfish,  
6 it was very well noted just the lack of success of capturing fish  
7 in the western Gulf, all the way to Alabama, and that matches up  
8 with your optical survey limitations, and so, moving forward, until  
9 you can get the acoustic cameras, and get all the bugs worked out,  
10 is there something that can be done in the interim to help improve  
11 the sample size, particularly in those areas where you have these  
12 optical limitations?  
13  
14 **DR. SWITZER:** That's a good question. Again, Matt Campbell  
15 probably knows a little more about the percentage of sites that we  
16 don't have usable data. I don't -- I mean, I think it's  
17 significant, but I don't think it's like 90 percent or something,  
18 and so I think we are getting at least a signal, and most of the  
19 banks, I think, are really well sampled, and so I think we tend to  
20 get pretty good data there. I can't think of anything that would  
21 be directly comparable to fit into the model. Do you have any  
22 ideas, or thoughts, John, on what you were thinking?  
23  
24 **MR. MARESKA:** Well, I know Zach Zuckerman has been working with  
25 Matt on those drop cameras, and just wondering the success he's  
26 been having, if he's been having much success with those drop  
27 cameras, and could that be an option, given, you know, the  
28 visibility issues, and the nepheloid, particularly at the bottom,  
29 and I'm assuming your optical survey limitations are really at the  
30 bottom, where the G-FISHER cameras are currently working.  
31  
32 **DR. SWITZER:** Yes, but the same thing, and like the platform is  
33 the same thing. The bottom is not -- In some of those areas, it's  
34 not visible. The problem is most of the fish are in that area,  
35 and so it's not -- Like you can't really do a water column sample  
36 in most of the natural reef habitats especially, and it's not going  
37 to give you anything, but triggerfish are one of the species we're  
38 focusing on with the eDNA work, and so that might be something  
39 that would be useful, at least as a presence-absence type of  
40 metric.  
41  
42 **MR. MARESKA:** All right. Thank you.  
43  
44 **CHAIRMAN MONCRIEF:** All right. Any more hands? I'll cover a  
45 couple of these points. Not, again, specifically, but kind of run  
46 through them. I'm going to go ahead and make mine, and then we'll  
47 get Harry after that.  
48

1 All right, and so what C.J. said I think, was spot on. Essentially,  
2 we're going to be -- I think this group, and not trying to read  
3 the tea leaves or anything, but there's going to be increased  
4 reliance on some level of index-based management, or some quicker,  
5 higher-throughput product that allows us to be able to make changes  
6 a little bit more readily, especially with decreased resources, at  
7 the assessment level, or timelines, or whatever else you want to  
8 say.

9  
10 With that, I think the conversation here has been kind of circling  
11 around what my overall thoughts have been. One is that,  
12 essentially, if you look at the map, I think, if we can bring it  
13 up for the overall sample, and let's go to that 2026 selected  
14 sites, and that's slide 24.

15  
16 I think the point that the eastern coverage across the shelf,  
17 versus the west having some level of impact, I think that's a  
18 decent concern to have, at least in this state, and Luiz's point  
19 about bringing this in as, you know, essentially a conglomerate,  
20 a consortium, a group-wide effort across all the states, I think  
21 is a very pointed one, because, just like what Louisiana said,  
22 Mississippi has mapping data across our artificial reefs as well,  
23 and we can access those areas pretty well.

24  
25 Now, when it comes down to the last comment, where it talked about  
26 essentially visibility, and the nepheloid layer, and all those  
27 impacts, and finding something in the interim between, we've been  
28 doing work, and I think it has shown a fair amount of success, in  
29 basically the 360-degree drop camera route that shows that there  
30 is a visible layer at nearly all times of the year, outside of the  
31 very hot summer months of July and August sometimes, but there is  
32 always a clear layer in that water column.

33  
34 Ted, I understand your point of those fish are always on the  
35 bottom, and so you're still missing them, and I understand where  
36 that's coming from, but that's not what we've seen in our sampling.  
37 It seems to be that those fish are oriented into that clear layer.  
38 They could follow the camera down and be there, and then, on the  
39 platform side of things, they're typically scattered across that  
40 layer, and, once you get to the bottom, to the shell bed, yes,  
41 there are fish there, but typically they're the juveniles that are  
42 sitting on the shell bed for some level of coverage.

43  
44 I think, all in all, given the need of this program, the benefits  
45 that it is going to be able to provide, and the reliance that the  
46 council is going to have for federal management of species, coupled  
47 with, you know, trying to read those tea leaves, and trying to  
48 expand this coverage to make sure, you know, it's pretty much

1 covering all the different stock distributions, especially those  
2 that are truly Gulf-wide and not just Florida-centric, I think  
3 there's a pathway here to have some meaningful conversation about  
4 finding a way to incorporate state-specific sampling of state areas  
5 in a meaningful way and increase the overall sample size here.

6  
7 I think all the points -- I mean, of course, the thanks for the  
8 presentation is on the spot, right, and we appreciate you coming  
9 and doing it, but I think all these points that have been made  
10 kind of join into that one notion of this can be a larger  
11 partnership, and we can increase sample size, and, while it may  
12 stray, or potentially not be exactly how it's executed in some  
13 areas, I think there's a pathway here that we can get meaningful  
14 data across the entirety of the Gulf, even with those visibility  
15 issues, because there is the possibility of doing it. I think  
16 we've proved that over on our side, and we're happy to share some  
17 of those videos at any time, and so those were my comments. Feel  
18 free to respond. If not, we can move to Harry. I think he had  
19 his hand up.

20  
21 **MR. BLANCHET:** I think Matt had his hand up. Maybe go to Matt,  
22 since I had a bite already at the apple.

23  
24 **CHAIRMAN MONCRIEF:** All right. Matt, take your bite.

25  
26 **DR. MATT CAMPBELL:** Sure, Trevor. Just to reflect what you said,  
27 we're finding very similar results, and so we're at about, I think,  
28 five years on that data after this year, and so I think we'll be  
29 able to start really producing information off of those artificial  
30 reef drops and the vertical transects themselves. I agree with  
31 you that we're picking up very good data in there.

32  
33 It's just that nepheloid on the bottom that you don't see things,  
34 and so I think you're right that it's rich to explore, and, again,  
35 yes, there's a lot of habitat in there that's difficult for all of  
36 us to sample.

37  
38 It's nice in the east, where we have, you know, two other partners  
39 that work with us. In the west, we're just building that up, and  
40 so LDWF last year did a great job, as did TPWD, picking up data in  
41 the inshore Louisiana and Texas areas, because, otherwise, it was  
42 essentially the NOAA Pascagoula facility trying to do all of the  
43 work, and so, yes, that's going to be important, I think, moving  
44 forward, and, yes, I agree that getting those water column data  
45 now, and pulling those data in, it's starting to show us pretty  
46 good results there.

47  
48 Then, yes, more expansion on like eDNA, and coupling eDNA with

1 acoustic signals, so we can start translating that information  
2 into biomass kind of signals, I think offers a reasonable pathway  
3 forward, a lot of R&D that we need there, but I think that there's  
4 a good reason to believe that we're going to be able to cover the  
5 ground here in the near future, and so I was basically going to  
6 say more or less what you said, Trevor, is that we're seeing pretty  
7 good results there, and so we would love to, of course, continue  
8 that, and talk with anybody who is working in this, in that  
9 particular domain, and expanding that work, and so that's what I  
10 had to follow-up on there.

11  
12 **CHAIRMAN MONCRIEF:** All right. Perfect. Yes, and I think -- You  
13 know, I think one of the aspects of this is that, you know, the  
14 gear, the size of the gear, the ability for, you know, the state  
15 fleet, if the state doesn't have a large-scale vessel to be able  
16 to do that work on or anything else, and I feel like there is some  
17 opportunity at least to try to, you know, at least find a pathway  
18 that will work, and so I appreciate those comments. Harry, go  
19 ahead and take another bite.

20  
21 **MR. BLANCHET:** Okay, and this is going back to something that Luiz  
22 alluded to of trying to develop basically a network for this  
23 project. One of my pet peeves has been the number of management  
24 boards, or commissions, or units that get involved, and I'm trying  
25 my best to encourage maintaining these within existing frameworks.

26  
27 You know, we already have a SEAMAP component, and it would seem  
28 that, if we want to expand state surveys for acoustic, or eDNA, or  
29 visual surveys like this, that that could all be done within the  
30 SEAMAP, if the funding was appropriately siloed to be specific to  
31 those characteristics, so that we're not in the same boat as we  
32 have been in the past, where that pot of money gets sometimes gets  
33 divided in ways that the SEAMAP Committee might have issues with,  
34 and I'll leave it at that. Thank you.

35  
36 **DR. SWITZER:** Well, thanks, Harry, and just a quick comment to  
37 that, and so the LBR that we submitted had specific language to  
38 make sure that it goes to the Gulf SEAMAP, so that it's not, like  
39 you said, partitioned to other regions.

40  
41 **MR. BLANCHET:** Thank you. Yes, and I would say you might want to  
42 have it also, as a part of that partition, specify that, you know,  
43 a certain fraction of it needs to go to the states, or something  
44 like that, so that so that you don't end up with it funding another  
45 four days of big white boats. Thank you.

46  
47 **DR. SWITZER:** Yes, and that was definitely part of it, again, and  
48 that's really what's limiting state involvement now, is just,

1 essentially, what states have done is reallocated their available  
2 vertical longline funding to what they can do for this program,  
3 and so definitely the goal would be to up that significantly.  
4

5 **MR. BLANCHET:** Thank you.  
6

7 **CHAIRMAN MONCRIEF:** I would just add to Harry's point, before we  
8 get to you, Paul, that, while Mississippi isn't sitting on the  
9 SEAMAP Committee formally, we had we have put funding toward this  
10 effort, to a degree, and I would like to be able to see us get a  
11 little bit more heavily involved, at least on that aspect of it,  
12 because I do think we've got -- You know, we've got a pathway to  
13 start contributing, even, you know, within funding and all that  
14 stuff, because, obviously, our state fishery is a priority to us,  
15 just like it is everybody else, and not just the Gulf-wide aspect,  
16 but also being able to cover both of those simultaneously is a is  
17 a good thing. Go ahead, Paul.  
18

19 **DR. MICKLE:** Thanks, Trevor and Ted. That was a great talk. I  
20 really enjoyed it. I learned a lot of new things going on. It  
21 was very informative, and it's good to see Matt and everybody on  
22 this talk. It's just a really good effort.  
23

24 As it moves forward, I'll try to tie -- I might tie into Harry's  
25 comments, and Trevor's comments, and then end with a potential  
26 suggestion, and a question, I guess, but it just seems like, when  
27 the Gulf-wide efforts, and we all have to understand that  
28 standardization is a very hard thing in this case, with these  
29 methodologies, obviously, with the different regions, and the  
30 water clarity, and we have the acoustic cameras, and we have the  
31 visual cameras.  
32

33 We have eDNA, and we have a lot of tools, and then the SEAMAP data  
34 as well, and standardization should be our goal, right, and in our  
35 conversations of how we can get Gulf-wide, because that's where  
36 the value comes in, obviously, with stock assessments, which is  
37 what we're all tasked to focus on with these efforts, but I think  
38 it just seems like, with what Harry was saying, and I agree with  
39 completely.  
40

41 The funding streams seem to go out in somewhat of a silo effort,  
42 and it works very well in certain regions, but Gulf-wide efforts  
43 are difficult, because certain areas -- Everyone wants to make  
44 their efforts efficient, more efficient, but, when that happens,  
45 when folks start taking on the ability to change methodologies,  
46 then you lose standardization.  
47

48 We all want an increase in our region's efforts, and get the most

1 bang for the buck, but, every time that seems to happen, there  
2 seems to be a loss of standardization. It just needs to be a Gulf-  
3 wide program.

4  
5 If we can marry these methodologies together, where it is somewhat  
6 cost efficient, and then either Gulf States or someone comes in  
7 and says -- Or SEAMAP, and I don't know, with various successes,  
8 and can it be standardized, and there is no liberties on any type  
9 of methodologies, or spatial selection of any kind, or temporal,  
10 then we can start to approach what we have stumbled on in the past  
11 as far as Gulf-wide standardizations.

12  
13 It is not an easy thing to do. I make it sound easy, but it is  
14 certainly not, but it just needs to take a lot of strength in  
15 certain circles to make sure we try to do our best in those efforts,  
16 and I think we are getting a lot better in those efforts, as far  
17 as Gulf-wide standardization.

18  
19 The last thing I will say is we do have these very valuable tools,  
20 but I just wanted to bring up a potential other one is the passive  
21 acoustics. The cetacean world is getting good at it. The reef  
22 fish world in the Caribbean is starting to get really, really good  
23 at it, and they are identifying species presence-absence just from  
24 the passive acoustics. It is very cheap to do, from what I  
25 understand, and I know very little about it, but it is starting to  
26 show some promise, and it seems like it could be another arrow in  
27 the quiver we could use, and, again, there is no water clarity  
28 constraints with that.

29  
30 You can groundtruth it in clear water with visual cameras, and the  
31 Gulf might be a great place to take passive acoustics even a step  
32 further as identifying quantitative metrics we can have. Thank  
33 you.

34  
35 **CHAIRMAN MONCRIEF:** Thanks, Paul. Yes, the standardization  
36 question has always been the one that always seems to kind put a  
37 hindrance on things, every now and then, of trying to move forward  
38 quickly, but it is an essential step in this process. Go ahead,  
39 Luiz.

40  
41 **DR. BARBIERI:** Thank you, Mr. Chairman. I'm coming back to take  
42 another bite of the apple myself, but, you know, all of the  
43 comments that you made, and Harry, and now Paul, right, that  
44 mentioned SEAMAP, and, I mean, this, for me, has been a little bit  
45 confusing, I guess because I'm still drawing on my understanding  
46 of our data collection systems that have been, you know, in place  
47 for a long time, and Ted is talking about G-FISHER as being more  
48 integrative, where he had that slide with the arrows that combined

1 everything under G-FISHER.

2

3 Ted, it might be helpful if you could help us better understand,  
4 right, how SEAMAP falls into this, and, despite the good comments  
5 that, you know, all of you have made, and, you know, Harry started  
6 talking about the SEAMAP, and funding, and all of this, and Paul  
7 continued with the standardization, but how does SEAMAP fit into  
8 this G-FISHER picture, and how could that be used as a way to  
9 basically facilitate that broader cooperation and integration of  
10 different data sources into this approach?

11

12 **DR. SWITZER:** Sure, Luiz, and I can comment on that, and it's one  
13 of those things that, essentially, G-FISHER is SEAMAP. It's funded  
14 externally, largely by the RESTORE Science Program, but the initial  
15 Pascagoula survey was 100 percent SEAMAP funded, and so that has  
16 been SEAMAP since the outset.

17

18 The initial West Florida Shelf work that Florida did was 100  
19 percent, or 90 percent, SEAMAP funded, and so those were SEAMAP-  
20 funded programs specifically.

21

22 What has happened is, again, as the vertical longline survey was  
23 discontinued, three states, Alabama, Louisiana, and Texas had some  
24 of those funds available, and so those funds were reallocated to  
25 help support the component of the SEAMAP program.

26

27 There is a SEAMAP reef fish subcommittee, and even a SEAMAP habitat  
28 mapping subcommittee, that I don't know that they've met in a  
29 while, but, essentially, the G-FISHER/SEAMAP protocols are  
30 currently the standard Gulf-wide protocols, and so it's already  
31 well embedded. It's just that some of the funding that's  
32 supporting the bulk of the work is coming through RESTORE, and so  
33 I don't see a whole lot changing once this transitions hopefully  
34 to a SEAMAP program.

35

36 Again, I think things like Trevor mentioned are perfectly  
37 legitimate to explore, but, again, as Paul said, I think there  
38 needs to be calibration trials, to make sure we can integrate the  
39 data as a Gulf-wide index. All the tools we've talked about,  
40 acoustic cameras, eDNA, we're developing and calibrating in the  
41 east, where we have the visual data to validate that, and, once  
42 we're confident that we have a quantitatively-reliable  
43 relationship, then the idea would be to apply it to the west.

44

45 If that doesn't work, then we have to come up with a plan B, but,  
46 again, the hope is that, with all other SEAMAP surveys, we have  
47 some sort of standardized currency that we can apply Gulf-wide,  
48 and I don't know if that really helps or not, but that's --

1  
2 **DR. BARBIERI:** It does. It does, Ted, yes, and that's exactly  
3 what I was looking for. Thank you.  
4

5 **CHAIRMAN MONCRIEF:** Thank you for those comments. John.  
6

7 **MR. MARESKA:** Yes, and so I would just like to add on to what Ted  
8 was saying as a SEAMAP subcommittee member, and so Ted brought  
9 this to the SEAMAP subcommittee back in 2022, and so we have been  
10 following the G-FISHER protocols using SEAMAP funds, but the group  
11 has also been working with us to explore other methodologies to  
12 address some of the issues that we discussed back in 2022, and  
13 visibility being a big issue in the western Gulf.  
14

15 Alabama built cameras to do the drop surveys, but we haven't been  
16 assigned any sites to use that gear, and so we've been using the  
17 spherical cameras currently, or actually just last year, and so we  
18 spent 2023 trying to build up the cameras, and all the equipment,  
19 and that was Gulf-wide. In 2024, things didn't work out  
20 logistically very well, and I think 2025 was the first year that  
21 the SEAMAP states were able to sample Gulf-wide, and is that right,  
22 Ted?  
23

24 **DR. SWITZER:** That's correct. That was also the first year we had  
25 the full training on video reading processes and stuff, and so  
26 we're getting there. It will take a couple years, but I think  
27 we're in the right direction.  
28

29 **MR. MARESKA:** This is a process, and it's not going to happen  
30 overnight, and so those are my comments. Thank you.  
31

32 **CHAIRMAN MONCRIEF:** Does anything ever happen overnight in this  
33 world? Go ahead, Paul.  
34

35 **DR. MICKLE:** A question for Ted. Is there a formal effort in the  
36 calibration process, and then I have a comment after that. If you  
37 said it in your presentation, I missed it, and I do apologize, but  
38 is there a formal effort in calibration between the methodologies?  
39

40 **DR. SWITZER:** So, with the eDNA and the acoustic stuff, there is,  
41 essentially, and it's essentially mirroring what we've done with  
42 the single camera and spherical camera calibration works, and,  
43 again, we're working on hopefully publishing that fairly soon,  
44 but, essentially, all the sites we have work, we're doing acoustic  
45 -- In the eastern Gulf, acoustic cameras, eDNA, and the optical  
46 compared.  
47

48 Now, what we don't have, and I don't know where this fits into the

1 hierarchy, you know, is an evaluation metric of what level of  
2 correlation is really sufficient to implement other components.  
3 That's something we'll have to I think bring to you guys once we  
4 have some data to compare. It's very similar to what we're talking  
5 about with the application of this VIAME automated image  
6 processing. You know, what level of agreement do we need to have  
7 before we can transition from a manual read to a VIAME read?

8  
9 **DR. MICKLE:** Trevor, can I comment on that?

10  
11 **CHAIRMAN MONCRIEF:** Yes. Go ahead.

12  
13 **DR. MICKLE:** Okay. Ted, I agree completely. I think the VIAME  
14 sheds a lot of promise, and I'm really excited about it, and, to  
15 your point about I guess the calibration process, I'm going to  
16 look at it through what we do with our physicochemical spatial  
17 models. Really, it's a validation calibration process, through  
18 literature review, and that's how you get those metrics we're  
19 bringing in, and getting the true metrics on the back side of the  
20 calculation.

21  
22 When you think about it, the video data is the groundtruth, right,  
23 and so the measured data, and I'm speaking as a modeler right now,  
24 but then, you know, with the model data, that would be the  
25 potential other two methodologies where you're actually  
26 calibrating, like you're stating, and so, like I said, a very  
27 standardized approach that, when it does reach the peer review  
28 level, you have those quantitative metrics to carry through and  
29 really start expanding out these quantitative metrics on a Gulf-  
30 wide scale.

31  
32 I guess, if you want to use that model or not, of how the spatial  
33 modelers do it, it seems successful, but, again, those aren't used  
34 for stock assessments, and so I understand the quantitative outputs  
35 are a little bit, you know, apples and oranges, but, again, it's  
36 trying to help with navigating somewhat of an unknown methodology  
37 calibration validation effort. Thank you.

38  
39 **DR. SWITZER:** I definitely appreciate that, and, from our  
40 perspective, I think, especially given the sampling intensity,  
41 we're okay with increased uncertainty. We want to make sure what  
42 we do in all of those doesn't impart a bias that then is interpreted  
43 as either a population increase or decline.

44  
45 **CHAIRMAN MONCRIEF:** All right. Thank you for that, Paul. I'm  
46 going to put on two hats, real quick. The first hat is, as someone  
47 who deals with Mississippi fisheries, I would love if we can engage  
48 between you all's group and ours, as the state agency, to figure

1 out where we can fit within all this.

2  
3 Like I said, we've been doing on and off work for the last couple  
4 of years, to see if this was theoretically possible within our  
5 waters on a year-round basis, or where it should be prioritized,  
6 and it sounds like you all have been doing the same, and so we  
7 would love to hear, you know, essentially where we might be able  
8 to fit into this, understanding that we do have a little bit of  
9 support at the state side for this kind of work.

10  
11 Now, taking off that hat and putting on the SSC hat, I feel like,  
12 Ryan and C.J., if you're still on, it seems like, and correct me  
13 if I'm wrong, that this is likely going to be the first-swipe index  
14 that's looked at for a large amount of species that will be  
15 undergoing assessment throughout time, and even when there's  
16 concerns that come from the public, or anywhere else from the  
17 fishery directly, and is it -- Do you all think this is probably  
18 going to be the first index that's looked at for a majority of the  
19 species that exist on the shelf?

20  
21 **MR. RINDONE:** I think it would be high on the list. I mean, it  
22 depends on the species and what kind of problem we're talking  
23 about. There might be other indices that might be more appropriate  
24 to look at in some cases, but the thing about G-FISHER that's great  
25 for its consideration for stock assessments, and consideration for  
26 management procedures and things like that, is, if you're looking  
27 like on the slide that's up right now, the distribution of sample  
28 sites across the Gulf, this is where people fish.

29  
30 If there's a signal that's being picked up by the fishermen, in  
31 terms of CPUE, or changes in length composition, or something like  
32 that, and we're hearing things are going up or down for whatever  
33 animal, it's highly possible that we can see what that signal looks  
34 like in this fishery-independent index and validate what we're  
35 being told is happening on the water, and so that's a great tool  
36 for fisheries managers to have at their disposal to be able to,  
37 you know, check one thing against another like that.

38  
39 To what C.J. said earlier about G-FISHER being considered for some  
40 of these index-based management procedures, I mean, we already use  
41 it for a couple of different interim analyses for different  
42 species, and it is highly likely that it will be strongly  
43 considered for others.

44  
45 **CHAIRMAN MONCRIEF:** I would agree with every point you made, and  
46 it matches the logic test of how many fish are out there. Well,  
47 we looked at them through a camera, and so it helps pass the logic  
48 test with stakeholders, as well as we're going through and

1 providing this across the board, and so that's another important  
2 check box.

3

4 **MR. RINDONE:** Yes, and we can't drain the Gulf and count them that  
5 way, unfortunately, but, you know, being able to see them on video  
6 is reassuring.

7

8 **CHAIRMAN MONCRIEF:** Absolutely. Go ahead, Matt.

9

10 **DR. CAMPBELL:** So I just wanted to point to a couple of funded  
11 studies that we're doing. We're starting off in some Caribbean  
12 work, to do essentially a calibration, following very much what  
13 Paul Mickle pointed out across gear types. We've got a MARFIN in  
14 to do the same thing in these structured habitats in the west Gulf,  
15 and so, as that develops, we would be happy to coordinate with  
16 folks on collecting those data, and doing those analyses, to try  
17 to get that method really solidified.

18

19 The hard part, when you're doing the index work, of course, is  
20 you've got your survey you've got to conduct, and so trying to  
21 build in calibration work on the side is out of the survey, and  
22 you're taking sample out of a survey to do that, and so hopefully  
23 that funding comes through, and, if it does, we would be happy to  
24 coordinate with folks and collaborate on that work, and so fingers  
25 crossed we get a little bit of help on MARFIN here this year to do  
26 that in the west Gulf in particular, and that will include not  
27 just the acoustic cameras, but as well as shipboard acoustics,  
28 similar to kind of an approach like what the Great Red Snapper  
29 Count was attempting to do.

30

31 **CHAIRMAN MONCRIEF:** All right. Thank you, Matt. John, one more  
32 swipe.

33

34 **MR. MARESKA:** No comment. I just forgot to lower my hand.

35

36 **CHAIRMAN MONCRIEF:** He relinquishes. All right. Do we have any  
37 other hands up? Ryan, is there any other items on this topic you  
38 feel we didn't cover or might need to discuss for the council  
39 discussion?

40

41 **MR. RINDONE:** The purpose of presenting all this was for the  
42 development of you all's knowledge about the index, because it is  
43 a very important index and survey that operates within the Gulf.  
44 Significant resources, as has been detailed, have been put into  
45 combining these video surveys into this composite that's currently  
46 being done across the region, and, like was previously mentioned,  
47 we expect this to be of great use in the future for a number of  
48 species, and so it's important for you as SSC members to have a

1 good grasp of how this survey works, how it has changed through  
2 time, and what's on the horizon, because you're going to see it  
3 again, and so, really, it's your group, Mr. Chair, and does anybody  
4 on the SSC have questions or things that, you know, they would  
5 like more clarification on, or want to talk through more, and so  
6 this was for you all.

7  
8 **CHAIRMAN MONCRIEF:** All right. With that, do we have any hands  
9 up? I think the premise of the group is that they -- Overall,  
10 we've had some positive sentiment, and we definitely see some areas  
11 that there could be some expansion. I think we listed the single-  
12 species concerns through the amberjack discussion, and likely  
13 with, you know, at least around triggerfish a little bit, as far  
14 as coverage and all that, but it's not to say that, you know, it's  
15 something lacking, but it's something that we could, I think, build  
16 toward, and I believe there is probably some positive sentiment  
17 across every state partner to get involved and help meet that goal  
18 as well. I see two hands up there, but I don't see a name. What  
19 do we got? Our colleague from the Science Center. Katie, go  
20 ahead. Dr. Siegfried.

21  
22 **DR. KATIE SIEGFRIED:** Can you hear me now?

23  
24 **CHAIRMAN MONCRIEF:** We got you.

25  
26 **DR. SIEGFRIED:** Great. Thank you so much. I wanted to not take  
27 a bite of the apple until everybody had their fill, and so that's  
28 why I raised my hand at the last minute, and I hope that's okay,  
29 and I appreciate the opportunity to talk.

30  
31 I see about three veins of thought here in the presentation, and  
32 I just, you know, wanted to reiterate everybody's thanks. Ted,  
33 and the whole G-FISHER team, are always there and ready and willing  
34 to go over G-FISHER when we bring it up for interims, and it's  
35 very helpful for them to go over the data with the SSC, and the  
36 methodology.

37  
38 That being said, I do hope we can get a little bit into the weeds,  
39 because of the way this affects the assessments, and all I wanted  
40 to talk about, Ted, is a few issues with -- You know, that we  
41 brought up recently with triggerfish and gag, and just a broad  
42 brush stroke here, and so one of them is the CART approach.

43  
44 I just wanted to be clear that the CART model is run over the whole  
45 time series. It's not specific to when each of the surveys came  
46 onboard, correct, and so get basically a weighted average of the  
47 habitat types across all years, and is that right?

48

1 **DR. SWITZER:** That is correct.

2  
3 **DR. SIEGFRIED:** Okay, and so, when we've talked about this at each  
4 individual SEDAR, the G-FISHER team has been open to potentially  
5 truncating, if there's an appropriate time to truncate, or  
6 addressing our concerns about that, because, as you can imagine,  
7 depending on the species -- Like gag is different from triggerfish  
8 in the way the survey picks it up, and so sometimes there's a need  
9 to truncate based on when surveys have come onboard, based on the  
10 species that we're looking at, and then also, you know, whether  
11 the selectivity or catchability are modeled explicitly, which  
12 usually we try not to do that for surveys, because the idea is  
13 there's some model-based assumption, or, sorry, design-based  
14 assumption that we don't need to model catchability separately,  
15 and so, you know, Ted, is that something you would agree is  
16 appropriate species-by-species?

17  
18 You said that a little bit through your presentation, that it's  
19 species-specific for the index, but I just want the SSC to know  
20 that the G-FISHER team is open to those approaches, and we've  
21 executed those in the past.

22  
23 **DR. SWITZER:** Absolutely, and I guess a couple of side comments to  
24 that. Again, we are always evaluating approaches. At some point,  
25 we do think we can transition to a complete G-FISHER design index,  
26 but that's not where we are quite yet, and I think something that's  
27 been coming up with the gag discussions is there's a lot of  
28 intermediate steps that we go through, and we evaluate, before we  
29 move forward.

30  
31 Those are things we have not provided, because, again, this is --  
32 It's different than a traditional GLM, where you have standard,  
33 you know, diagnostics and residuals and stuff. There's a lot of  
34 very similar types of things for G-FISHER that we could produce if  
35 that was ever of interest, and I think we're working with that  
36 with gag a little bit more now, in terms of what those intermediate  
37 products might be, and how they might be useful, and so we're  
38 always open to that. Definitely.

39  
40 **DR. SIEGFRIED:** Great. Thanks, Ted. Like I said, your team has  
41 been amazing when it comes to that, and we really appreciate it.  
42 It's just important the SSC know that, when we say a G-FISHER  
43 index, it may be different species to species, even the years used,  
44 and even the region used.

45  
46 Like we've been having this discussion in the red snapper webinars,  
47 about the difference in the signal from the west, and so, you know,  
48 the discussion about the optical gear is very important, because,

1 the three veins that I was referring to, one is the usefulness in  
2 the assessment, and the second one is sort of where are you all  
3 moving forward, because I think G-FISHER is basically a marquee  
4 survey in the Gulf, and moving forward with these collaborations  
5 with the states sounds promising, as long as the calibrations are  
6 done like you mentioned, Ted. Then the automation is a big deal  
7 for us, for the usefulness of this index for interims and  
8 management procedures.

9  
10 The second thing on my mind is the automation, which I know you  
11 say is going to be ready to discuss later in this year. Do you  
12 think there will be limitations to which species we could get more  
13 timely G-FISHER indices for, based on the difficulty in identifying  
14 them with the machine learning?

15  
16 **DR. SWITZER:** So, again, Matt can chime-in if I misspeak here,  
17 but, right now, the current limitation is what the available  
18 reference imagery library is, and so some of the early models we've  
19 been developing are working well for a lot of the species that  
20 common in the west and the central Gulf, but they started to fail  
21 when the overlap with things in the east, and so one of the things  
22 we've been working on, for the past six months or so, is really  
23 beefing up the reference library for the species in the southeast  
24 Gulf, and so I think that's the main limitation, aside from, again,  
25 the ecosystem species are always going to take some level of review  
26 from staff, but we're hopeful that we can get a pretty good first  
27 cut for at least the key species that you're probably going to  
28 want an annual interim for.

29  
30 **DR. SIEGFRIED:** Well, that's great, and, you know, to -- I don't  
31 remember everybody that said it, but I think C.J. and Trevor and  
32 others mentioned, you know, wanting to get some sort of  
33 corroboration of what's on the water, and, the more timely data,  
34 the more likelihood, you know, we'll move towards that. Matt, I  
35 see your hand up, and do you want to say something about that  
36 before I say my final question to Ted?

37  
38 **DR. CAMPBELL:** Sure. To reflect what Ted said, it is species-  
39 specific, and we can provide that to you, Katie, which ones we can  
40 anticipate that we're going to be pretty solid for with automation.  
41 Things like red snapper, it works nicely.

42  
43 Things like gag, that is not as common, and so it goes to the  
44 training library that trains these models themselves. The more  
45 imagery you have, the better the model will do, and so gag, which  
46 you don't see a lot of, it doesn't perform as nicely, and then  
47 there's some specifics that can trip you up a little bit in there.

48

1 Essentially, we've got everything up into the cloud, and so we're  
2 going to be able to really optimize the speed at which the  
3 automation works, and we'll go from maybe ninety days down to a  
4 week to produce data, and then it's going to be a human-in-the-  
5 loop question of -- I think Ted alluded to this too earlier, and  
6 there's a tradeoff between how much human intervention into that  
7 data do we want, versus precision.

8  
9 Right now, we're doing a lot of the underlying analytical work to  
10 get on solid ground for you guys, and provide the kinds of metrics  
11 hopefully that provides you the underpinnings to say we're pretty  
12 solid that these data are trustworthy, and so that's kind of where  
13 we are. I think we're pretty solid, actually, for the nine or ten  
14 primary species that we provide data for, and so red snapper, and  
15 gray triggerfish it does really nicely with, as you can imagine,  
16 as a fish species.

17  
18 Red grouper, nice modeling and things on it that are really very  
19 apparently. It's when you get close specifics, and so it's going  
20 to be species specific to which -- The degree to which we can  
21 produce that rapidly, and so more on that, and we're looking to  
22 essentially exercise a lot of those analyses through the summer,  
23 and into the fall, and looking for a CIE review on that come fall,  
24 and so we'll have independent experts looking at what we did and  
25 helping us out on the analysis part of that, and so more to come.

26  
27 **DR. SIEGFRIED:** That's great. That sounds perfect. Thanks, Matt.  
28 I'm excited about the CIE review, too. I think that's going to  
29 really help, you know, the buy-in for that.

30  
31 Just one final thing, Ted, and I had a question about artificial  
32 reefs. We've talked with your team quite a bit about whether to  
33 include or not include artificial reefs, and do you have -- I don't  
34 know if the SSC can provide guidance, you know, but which species  
35 do we expect an artificial-reef-specific dataset to be  
36 hyperstable, for instance?

37  
38 Like if we -- There's some species we think that artificial reef  
39 data should be excluded, and, you know, your team has done that  
40 for us in the past. Is there a rule-of-thumb that you think can  
41 be provided, or the SSC can provide there, and then, if so, is  
42 that extended towards which species we might want to pay attention  
43 to when it comes to providing a full combined index, or a full  
44 Gulf-wide survey for, and I just -- I see a lot of differences  
45 amongst species, and it's difficult to throw the whole dataset at  
46 it, with, you know, everything you've got, and I hope you know  
47 what I mean, based on our previous conversations.

48

1 **DR. SWITZER:** 100 percent, and, honestly, we're in the same boat.  
2 When it comes to integrating as a weighted approach in the G-  
3 FISHER, at least in the eastern Gulf where we've done it so far,  
4 ultimately, it doesn't have a lot of influence, because artificials  
5 are maybe 2 percent of the entire available habitat, and so it's  
6 -- Whether it's hyperstable or not, it's not going to have any  
7 real influence in the actual resulting index.

8  
9 Where I think -- Again, the SSC comments might be useful here, and  
10 it may give an external perspective of things like fishing  
11 dynamics, since those are areas that are typically very well  
12 targeted by the industry. It would be a different story in the  
13 west, I think, when the artificials on the shelf itself are  
14 probably a higher percentage of available habitat, and we haven't  
15 thought that through yet.

16  
17 **DR. SIEGFRIED:** Okay. Thank you, and I want to reiterate, Trevor,  
18 that I appreciate the team's willingness to work on these  
19 analytical issues when we're trying to incorporate the full time  
20 series back to the 1990s, and I understand the SSC's frustration  
21 when we've shown them indices, but I just want to be clear that,  
22 when we reanalyze these data, it's not because we question G-  
23 FISHER as an enterprise. We very much value it, but sometimes it  
24 doesn't fit the purpose, or the need, and so that's why we might  
25 reanalyze things, but, in general, we're very supportive of this  
26 program. Thanks.

27  
28 **CHAIRMAN MONCRIEF:** That's perfect. That's a good sentiment to  
29 have. I think, on your artificial reef question, I mean, I  
30 understand the hyperstability concern. I think, like Ted said, as  
31 you move further west, the artificial reef complexes make up a  
32 majority of the biomass associated with each one of the fisheries.

33  
34 For Mississippi, and I know we're a small drop in the bucket, but  
35 the fishery exists on those artificial reef structures, and they  
36 certainly represent a bulk of the accessible biomass to the  
37 fishery, and so I really feel like they shouldn't be excluded, and  
38 kind of my point earlier that, if there's a pathway to be able to  
39 use things like drop cameras that are currently being integrated  
40 in, or looked at, or examined for the possibility of being  
41 integrated into the overall, at least our state would love to be  
42 a part of that, just because we think it would be beneficial  
43 overall for the signal that we're getting.

44  
45 It would be beneficial for the assessment, and for just the, you  
46 know, the region-specific index monitoring of, you know, what the  
47 fishery is looking like, and so I think the artificial reef thing  
48 -- While I understand the concern, I think it just plays a very

1 pivotal part as you move east to west into the Gulf. Harry, go  
2 ahead. You still there, Harry? We might call that one a ghost  
3 hand. Does anyone else have any comments back to Katie's comments,  
4 which I very much appreciate? Am I all alone in here? Anybody  
5 else?

6  
7 **MS. MATOS:** No, and you're there. Harry, we can't hear you if  
8 you're speaking. You'll have to unmute.

9  
10 **CHAIRMAN MONCRIEF:** All right. It looks like we've have a second  
11 hand up. Let's go to that one. Luiz, jump on in.

12  
13 **DR. BARBIERI:** Thank you, Mr. Chairman. Well, I don't have any  
14 additional questions. I just want to thank Katie for joining,  
15 right, the webinar, since she leads the Gulf assessment enterprise  
16 there out of the Science Center, you know, just because this  
17 conversation -- A lot of the points that she brought up, right,  
18 those are things that we have been struggling with along the way.

19  
20 This presentation today, really the idea, as Ryan and you  
21 explained, Trevor, is really to try and clarify all these issues  
22 associated with the survey, but also have clarification on how  
23 this now fits into the assessment frameworks that, you know, we  
24 have in place and planning for the future, and so her comments  
25 about, you know, selectivity, and calibration, and artificial  
26 versus natural, all of those things, as you know, are issues that  
27 we struggle with as we go assessment-by-assessment for different  
28 species, and so, Katie, having you here to raise those points, and  
29 participate in the discussion, has been very helpful. Thank you.

30  
31 **CHAIRMAN MONCRIEF:** Absolutely. I echo that sentiment. Harry,  
32 I'm giving you one more shot, and we're going to wrap it up. All  
33 right. If you're there and can't speak, then send an email over  
34 to them, and we'll try to get those comments, if they need to be  
35 sent over. No other hands up that I can see, and so let's go ahead  
36 and say a final thank you to Ted and his group for being online  
37 and available for questions, and Katie being here to help out with  
38 this conversation I think was a good one.

39  
40 I think we've got a good wrap around this program, that has the  
41 utmost importance, and certainly has hopefully a bright future  
42 ahead of it for Gulf fisheries management. I think with that,  
43 that wraps up that item. We've got Public Comment first, and then  
44 Other Business, and is that right?

45  
46 **MR. RINDONE:** Yes. Public Comment first.

47  
48 **CHAIRMAN MONCRIEF:** Public Comment. All right. If there's anybody

1 from the public on the line that wishes to speak, go ahead and  
2 raise your hand, and they'll get you taken care of. Bueller?  
3 Bueller? All right.

4  
5 **MR. RINDONE:** Nobody.

6  
7 **CHAIRMAN MONCRIEF:** Not seeing anything, all right. That moves us  
8 into the last item, which is Other Business. Anybody have anything  
9 burning on their conscience they want to bring up?

10  
11 **MR. RINDONE:** I've got something.

12  
13 **CHAIRMAN MONCRIEF:** There he is.

14  
15 **OTHER BUSINESS**  
16 **SEDAR 100 REVIEW WORKSHOP APPOINTMENTS**

17  
18 **MR. RINDONE:** I need suckers for the SEDAR 100 review workshop for  
19 Gulf gray triggerfish. We need two SSC members to serve as  
20 reviewers, and we need a chair. This workshop, this review  
21 workshop, for gray triggerfish will be held in Tampa from August  
22 11<sup>th</sup> to the 14<sup>th</sup>, and so, Mr. Chair, if I could, I need two SSC  
23 members to be reviewers and then one more to be a chair.

24  
25 **CHAIRMAN MONCRIEF:** I know we've got some folks who love  
26 triggerfish around here.

27  
28 **MR. RINDONE:** Well, Dr. Simmons cannot be a reviewer, and so --

29  
30 **CHAIRMAN MONCRIEF:** She'll be there regardless, and so her input  
31 is --

32  
33 **MR. RINDONE:** I have no doubt.

34  
35 **CHAIRMAN MONCRIEF:** All right. Let's see if we can get a couple.  
36 Luiz, and I would bet he's going to volunteer as chair.

37  
38 **DR. BARBIERI:** You are correct, Mr. Chairman, just because, you  
39 know, I think I can -- There are others who are more knowledgeable,  
40 right, about triggerfish that I think can step in and serve as  
41 reviewers, but, you know, since this is close to home, and I'm no  
42 longer involved in chairing the SEDAR 98 review, I'll volunteer  
43 for this one.

44  
45 **CHAIRMAN MONCRIEF:** Perfect. Appreciate it. Do we have any other  
46 volunteers on the line to participate in this one? If not, Ryan  
47 will be volun-telling again at some point. Raise now or forever  
48 -- Raise now or be contacted by Ryan shortly. Don't hold onto

1 anything. All right. Harry. He's back. Harry, does that raised  
2 hand indicate you as a volunteer for triggerfish?  
3  
4 **MR. RINDONE:** I don't think so for the review workshop.  
5  
6 **CHAIRMAN MONCRIEF:** We still don't have you, Harry. All right.  
7 Ryan, you want to just reach out to folks and try to fill in?  
8  
9 **MR. BLANCHET:** I just got unmuted.  
10  
11 **CHAIRMAN MONCRIEF:** All right. There we go. Go ahead, Harry.  
12  
13 **MR. BLANCHET:** Sorry for the -- My initial comment was supposed to  
14 be very brief. I was just going to suggest we didn't get a full  
15 list of all of the species that are being considered under the  
16 eDNA, and I wanted to mention sharks as being one of those groups  
17 that might want to be considered. It's not really under the SSC's  
18 purview, but it's kind of out there, and it's one of those things  
19 that could use some more information.  
20  
21 **CHAIRMAN MONCRIEF:** All right. Appreciate that comment. All  
22 right. Ryan, are you still trying to track somebody down, two  
23 more volunteers?  
24  
25 **MR. RINDONE:** I'll hunt and gather.  
26  
27 **CHAIRMAN MONCRIEF:** All right. I'll be tentative, but I think  
28 I've got something scheduled for that exact time, but --  
29  
30 **MR. RINDONE:** Okay.  
31  
32 **CHAIRMAN MONCRIEF:** You can do it. All right. With that, we have  
33 wrapped up all the items of this meeting, and I'll take a motion  
34 to adjourn.  
35  
36 **EXECUTIVE DIRECTOR CARRIE SIMMONS:** Mr. Chair?  
37  
38 **CHAIRMAN MONCRIEF:** Carrie, go ahead.  
39  
40 **EXECUTIVE DIRECTOR SIMMONS:** Thank you, Mr. Chair, and so I know  
41 Ryan sent a doodle poll to you all yesterday regarding a short  
42 kind of interim meeting we wanted to have on the shrimp bycatch  
43 for finfish, and some recommendations that are coming out of the  
44 working group, and so I know we originally sent it out for 8:30 to  
45 12:30, but we might need to extend that.  
46  
47 I would hate for us to get into a situation where we run out of  
48 time. You know, if we end early, that's fine, but maybe we'll

1 have a short lunchbreak, and then maybe schedule until 3:00, just  
2 in case, because we'll have to get through general methodology,  
3 its application to red snapper, and then its application to gray  
4 triggerfish, and so he'll be sending that out, to let you guys  
5 know, and so thank you, and just to make sure we have enough time  
6 for that. Sorry about that.

7  
8 **CHAIRMAN MONCRIEF:** You're good, and I agree. Given the complexity  
9 of that topic, I think it's probably worth trying to overshoot  
10 rather than undershoot. I've got Jim, and then Paul. Jim, go  
11 ahead.

12  
13 **DR. NANCE:** Thank you, Mr. Chair. On that issue, is there any --  
14 Can we have it on maybe to look at other dates too? That day is  
15 just out for me, but any other day in May is fine, but I just hate  
16 to miss that one, but, if that's the day, then that's the day, but  
17 thanks.

18  
19 **CHAIRMAN MONCRIEF:** Thanks, Jim. Go ahead, Paul. Dr. Mickle.

20  
21 **DR. GRIFFITH:** I just wanted to mention that date, Jim, is in June.  
22 It's not May 24<sup>th</sup>, and I think it's June 24<sup>th</sup>, isn't it?

23  
24 **MR. RINDONE:** Yes.

25  
26 **CHAIRMAN MONCRIEF:** All right. June 24<sup>th</sup>. Re-evaluate, Jim, and  
27 let Ryan know on the email. Paul, go ahead.

28  
29 **DR. MICKLE:** Yes, and I just wanted to mention two quick things.  
30 I just want to say that we're all thinking about USF, and what  
31 happened there, and we're all thankful that there were no injuries  
32 reported. It's just we're all biologists, and very sentimental  
33 folks, and we keep a lot of things in our offices, and I'm sure  
34 there's loss there, just, you know, data and all these things that  
35 we're going to learn about, but I really hope they reach out for  
36 anything they would need, and I want to say we're here for them.

37  
38 The last thing I'll say is we've had a loss with Dr. Jim Franks  
39 has passed away, and we all know Jim Franks. I don't have to even  
40 explain how much of -- He was just an icon in what we do, and he  
41 really made impacts that will be seen for a long time, and it's a  
42 huge loss, and I just wanted to mention those words as we close.

43  
44 **CHAIRMAN MONCRIEF:** I appreciate that especially, Paul. Anybody  
45 who met Jim met a wonderful human being, and likely a lifelong  
46 friend, and, obviously, yes, his impact here is surely missed,  
47 and, yes, tough news all the way around.

1 All right. Any other business from anybody else? If not, we'll  
2 go ahead and wrap this thing up and put a bow on it. Ryan, do we  
3 need a motion to adjourn, or do we just end the meeting?

4

5 **MR. RINDONE:** You can just end the meeting.

6

7 **CHAIRMAN MONCRIEF:** I am hereby ending this meeting, and I  
8 appreciate everyone's attendance and conversation. Thank you,  
9 everybody.

10

11 (Whereupon, the meeting adjourned on May 5, 2026.)

12

13

14

- - -